

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

IMPORTANT NOTICE

PLEASE READ BEFORE USING REAL-TIME ROUGH
DRAFT

AGREEMENT OF PARTIES

WORKING WITH REALTIME ROUGH DRAFTS

We, the party working with realtime and/or unedited disk and rough draft transcripts, understand that if we choose to use the realtime rough draft screen, or the printout, that we are doing so with the understanding the rough draft is an uncertified copy.

We further agree not to share, give, copy, scan, fax or use for appeal purposes or in any way distribute this realtime rough draft in any form (written or computerized) to any party. However, our own experts, co-counsel and staff may have limited internal use of same with the understanding that we agree to destroy our realtime rough draft and/or any computerized form, if any, and replace it with the final transcript upon its

1 completion.

2 This realtime transcript is a
3 rough draft
4 and provided for your immediate review of
5 the proceedings. It is not provided for
6 nor meant to be used or cited in any type
7 of Court proceedings.

8

9 REPORTER'S NOTE:

10

11 Since this proceeding has been realtimed
12 and/or an unedited disk provided, it's in
13 rough draft form. Please be aware that
14 there may be a discrepancy regarding page
15 and line numbers when comparing the
16 realtime screen, the rough draft, rough
17 draft disk and the final transcript.

18

19 Also please be aware that the realtime
20 screen and the uncertified rough draft
21 transcript and/or unedited disk may
22 contain untranslated steno, reporter's
23 notes in double parentheses, misspelled
24 proper names, incorrect or missing Q/A
25 symbols or punctuation and/or nonsensical

♀

1 English word combinations and/or missing
2 text if real-time reporter was unable to
3 slow down or stop the proceedings to
4 correct the foregoing. All such entries
5 will be corrected on the final, certified
6 transcript.

7

8 TAMBI BALCHEN
9 CERTIFIED REAL-TIME REPORTER

10

11 *** UNEDITED REALTIME VERSION

12

13 test test test test test test dirigible

14 Test test test test. Test. Okay.

15 THE VIDEOGRAPHER: October 15, 2015. Z test test

16 test test test test test test test test

17 test. Test.

18 THE VIDEOGRAPHER: . We're back on the record.

19 Here begins media unit number 1 volume 2

20 in the continuing deposition of Tony

21 Sperling on October 15th, 2015. The time

22 is 9:04.

23 MR. BECK:

24 Q Good morning, Dr. Sperling. Are you ready

25 to go?

♀

- 1 A Yes, sir. Well rested. Good morning to
2 you.
- 3 Q Good morning. We were talking at one
4 point yesterday in some detail about the
5 water levels at certain TMPs because the
6 question we were looking at is is it
7 possible for this reaction to actually be
8 below the water table. Do you recall
9 that?
- 10 A Yes, sir.
- 11 Q That was an important discussion?
- 12 A Very important.
- 13 Q A lot of the fundamental things you say in
14 your report?
- 15 A Absolutely.
- 16 Q Now, did you do anything last night to
17 determine water levels at any of these
18 TMPs?
- 19 A I reviewed my data set of the monthly
20 reports that were submitted and I did not
21 come across any new information that I
22 could find any water levels within the
23 bridge area.
- 24 Q And when you refer to the bridge area
25 you're talking about the neck?

1 A Sorry I keep talking about the bridge.
2 The neck yes, sir.
3 Q And what you're calling the bridge area is
4 to look at those maps that actually call
5 out the neck and enlarge it so that you
6 can see better detail so that you can then
7 see which TMPs, which GIWs which gas
8 extraction wells are located there?
9 A Exactly.
10 Q And I'll remind you at the start of today,
11 for the benefit to the person on my right,
12 it's very easy for us to be conversational
13 and we have to fight the urge. So if I'm
14 in a middle of a sentence, let me get it
15 out and then you can say something.
16 A I'll do my best to try and remember.
17 Q Understood.
18 So could you just look at your map
19 and give the exhibit number, I think it's
20 5?
21 A Got it.
22 Q And if you look at the blue shaded areas
23 and, again, I can give it to you kind of
24 blown up if you would like?
25 A M'hmm had.

♀

1 Q But I'm interested in having you confirm
2 that gas interceptor well 8, GIW 8 is
3 plenty close to temperature monitoring
4 probe 7R. Can you see that?
5 A Again, it's super-microprinted.
6 Q There's my iPad so you can see the blowup
7 of it?
8 A So TMP 5.
9 Q TMP 7. They're not right adjacent but
10 they're close?
11 A Yeah, TMP 7. So this is TMP 7R yes, okay.
12 Q And you'll recall that when we looked at
13 TMP 7 the heart of the reaction was pretty
14 deep?
15 A Correct.
16 Q Have you done anything that informs you of
17 the depth to liquid from the top of the
18 casing of gas interceptor well 8?
19 A No, sir. I have not been able to locate
20 that information.
21 Q Okay. I'm going to show you something in
22 full, but then when I mark it I'm going to
23 mark an excerpt and the reason is that
24 uniquely among documents in this case,
25 this is one of the few which was submitted

♀

1 to the Department of Natural Resources
2 under a claim of trade secret protection
3 seeing as how the gas interceptor wells
4 involve intellectual property and first
5 I'll let you see the whole document and
6 then we'll do the whole exhibit so I don't
7 do anything confidential?

8 A Thank you.

9 Q And just for the record, what I've handed
10 you is dated August, 2015. It is titled
11 expanded heat removal pilot study initial
12 report prepared by Feezor engineering in
13 association with Peter Carrie and
14 associates and on the front it says the
15 words trade secret confidential but for
16 the purpose of the record we'll just take
17 off the first page and the last page and
18 make that the exhibit.

19 (EXHIBIT NO. :)

20 7

21 MR. BECK:

22 Q Pause. Test?

23 A Okay, thank you. I skimmed it. There's a
24 lot of information there.

25 Q I understand and you haven't read this

♀

1 before, have you?

2 A No.

3 Q Just confirm for me if you would please
4 that the first and last pages are
5 accurately excerpted as Exhibit 7 right
6 there in front of you?

7 A Yes, sir.

8 Q Now, if I could ask you to turn to the
9 second page or the last page of Exhibit 7
10 you can see a small table containing depth
11 to liquid measurements that were taken in
12 the gas interceptor wells or in certain
13 gas interceptor wells on June, 2015?

14 A Yes.

15 Q Those are expressed as depth to liquid
16 from top of casing?

17 A Yes.

18 Q And if the top of casing elevation of GIW
19 8 is in fact 499?

20 A Okay.

21 Q Then to find out what is the liquid level
22 in that gas interceptor well, you simply
23 subtract the 27.4 from the 499 is that the
24 correct method?

25 A Yes, sir.

1 Q And that would give you a calculation of
2 471.6 feet above sea level?

3 A Sounds about right without doing the math,
4 but --

5 Q And that is way above?

6 A Yes, sir.

7 Q The heart of the reaction?

8 A It would appear so. Without, you know,
9 having a full understanding of how these
10 measurements were actually taken and being
11 able to see them for myself, I'm a little
12 skeptical about the water level readings
13 that are collected and piezometers a
14 highly reactive environment.

15 Q I hear you. Did you, by virtue of your
16 concern about that issue, make a
17 comprehensive effort to go through all of
18 the data that have been collected from
19 time to time with water level measurements
20 not only in gas interceptor wells but in
21 gas extraction wells in order to see if
22 they ever change much?

23 A I was looking for water level data in the
24 information that I reviewed and like I
25 say, the water level data that I came

♀

1 across was basically the Aquaterra
2 information and water level information
3 from perimeter TMPs and other locations
4 but I was not able to locate any water
5 level information within the landfill
6 within the data sets that I reviewed.

7 Q And particularly within that neck area?

8 A Yes, sir.

9 Q In the neck area you did see water level
10 information from Aquaterra. We went
11 through that in your expert report and it
12 was in the 420's remember that?

13 A Yes, sir.

14 Q And the TMP 7 it was in the 420's?

15 A Yeah, on that very preliminary estimate of
16 the of the position, you know, in order to
17 be very comfortable with that estimate of
18 the water level I would like a much more
19 detailed review of where that monitor
20 actually was and, you know, not just be
21 picking up a point off your iPad. I feel
22 very uncomfortable doing.

23 Q we're not talking about a monitoring.
24 what Aquaterra did and you relied it on
25 your own report and described it fairly

1 accurate is they sounded all the wells?
2 A Yes.
3 Q And they used all of those water level
4 measurements to interpret top of water
5 level groundwater contours or leachate
6 contours in the landfill, right?
7 A Correct, and I have no problem with that.
8 Q And that's the one I'm talking about
9 first. So on that map you looked at the
10 approximate location where TMP 7 would go
11 and said that as of 2010 the water level
12 there was about 424. Do you recall that
13 from yesterday?
14 A And that's where I had a problem in that I
15 was quite uncomfortable in transferring
16 the location of the TMP 7 from your iPad,
17 you know, on to that map because there was
18 like no scales or any reference. I just
19 kind of approximately picked it.
20 Q I understand?
21 A With the steep cone it could be quite
22 different.
23 Q And TMPs don't have a water level but they
24 have adjacent wells. What I guess I'm
25 asking you to assume is this: I guess I'm

♀

1 asking you to assume that beyond what we
2 discussed yesterday all of which is
3 already recorded in the transcript?
4 A M'hmm.
5 Q -- that consistently the water levels in
6 the gas intercept wells and the gas
7 extraction wells throughout the neck is
8 all always well above tense of feet above
9 400?
10 A M'hmm.
11 Q That would be substantially above the
12 heart of the reaction as measured at the
13 temperature monitoring probes, correct?
14 A Yes.
15 Q If my assumption is is correct?
16 A Yes. I'm thinking at this point I would
17 really like to have access to sort of a
18 readable map where I can see the spatial
19 relationship of the TMPs and the GIWs.
20 Q Sure. I'm going to give you back my iPad
21 that?
22 A If I could request, sir, I was given a
23 nice map by Brenda Audrey of the site.
24 Q Let me hand this?
25 A Pretty well essentially the same as this.

♀

1 They just blew it up and.

2 Q If you brought it with you, you're welcome
3 to use it.

4 A would that be okay to provide that to you
5 instead of handing the iPad back and forth
6 all the time.

7 THE VIDEOGRAPHER: Going off the record. The time
8 19:18 test test test test. So let's see
9 if this is working.

10

11 THE VIDEOGRAPHER: We're back on the record. The
12 time is 9:32.

13 MR. BECK:

14 Q Dr. Sperling, just before the break you
15 were asking to utilize a couple of blowups
16 that you had brought with you.

17 A Yes, sir.

18 Q May I put stickers on for you?

19 A Please. That would be great.

20 Q I'm going to put the stickers on the back.
21 we'll start with Exhibit 8 can you tell me
22 where you got it?

23 A Exhibit 8 is a blowup of a map of two
24 times the original scale of a map a well
25 location map provided during our site tour

♀

1 by Ms. Brenda Audrey when we visited the
2 site and it shows all of the wells as of
3 that time that were available and all I've
4 done is to highlight different like the
5 TMPs would be one color and the GW orange
6 color.

7 Q Do you happen to know which technical
8 report that map comes from?

9 A There was a title block that says it, but
10 I don't have a recollection of what report
11 it actually was.

12 Q The title block doesn't appear on here?

13 A No. I made a 11 by 17 copy on my color
14 copier didn't copy the title block. I can
15 provide that later for you if it it's
16 important.

17 Q Exhibit 9 just explains what that one is?

18 A Exhibit 9 it's the same map at original
19 scale. So it's just a smaller scale.

20 Q At least if we want to place those maps in
21 time if we look at the original scale
22 Exhibit 9 one of the things that it shows
23 is 41 million gallon storage tanks above
24 grounds?

25 A Yes.

♀

- 1 Q That's that leachate system they built?
- 2 A Yes. I believe it's a very current map.
- 3 Q Okay. Now, has that given you the ability
- 4 to on or not yourself TMP 7 and gas
- 5 intercept well 8?
- 6 A Yes, sir. Present time I can clearly see
- 7 both here TMP 7 and 7R which is the new
- 8 one and gas interceptor well 8, let me
- 9 just locate it. I believe it's this one
- 10 here because it's 8, 9. The yeah, I'm
- 11 fairly confident.
- 12 Q Does it appear to you that they may be 100
- 13 feet apart as the crow flies?
- 14 A That would appear reasonable.
- 15 Q And even if a drawdown cone of depression
- 16 from leachate wells were uniquely one
- 17 direction because only one of them is
- 18 functioning and it's all going one
- 19 direction down, what's the steepest top of
- 20 leachate gradient you could imagine seeing
- 21 out here, not 10 percent?
- 22 A In groundwater wells it's purely a
- 23 function of hydraulic conductivity
- 24 (phonetic). It's very tight and I would
- 25 expect a very steep gradient. Spelling

- 1 Q There's some contour lines on that map and
2 if so what do you understand they
3 represent?
- 4 A My map?
- 5 Q Yes. You can work with 8?
- 6 A I don't believe there are any contour
7 lines on here. There's just a bunch of
8 straight lines.
- 9 Q There's no lines on that that indicate the
10 top of leachate in the waste, the water
11 table?
- 12 A Not on this map, no, sir.
- 13 Q And so by looking at that map are you able
14 to add anything to the answer to my
15 question which is if I ask you to assume
16 that I can show you measurements that
17 demonstrate that the water levels in the
18 neck during the entire period of operation
19 of the TMPs have been in the 400s say in
20 the 420 and up?
- 21 A Yes.
- 22 Q That would be substantially above the
23 heart of the reaction as it appears in the
24 TMPs?
- 25 A Yes, sir. And on that point I want to

♀

1 make sure that I tie everything together
2 in terms of having a very good
3 understanding of the GIW screen elevations
4 and also the processes used to collect the
5 water level data because I've had lots of
6 experience in trying to sound water levels
7 in landfills that are not reacting and
8 it's problem act at the best of times with
9 gas escaping and foam and bubbling and all
10 sorts of technical challenges and so I
11 just really would want to feel very
12 comfortable that those are actually static
13 accurate water level measurements.

14 Q Right. And I think you're actually in
15 your mind thinking a few questions back?

16 A Yes.

17 Q Because a few questions back I was asking
18 specifically about some gas interceptor
19 wells. Now my question goes a lot broader
20 than that. You looked for information
21 about water levels because that was
22 fundamental to your report?

23 A Yes, sir.

24 Q One of the places you looked was the
25 sounding that was done by Aquaterra and

♀

1 you found that to be very helpful because
2 it was comprehensive it was done all at
3 one time and it was mapped in a way that
4 showed the water table contours so they
5 could be compared to things, correct?
6 A Yes, direct.
7 Q And based on the water level contours on
8 that map in had 2010 if they had not later
9 changed those water levels would be above
10 the heart of the reaction above the TMPs,
11 correct?
12 A At that time.
13 Q At that time?
14 A Yes, sir.
15 Q And so now what I'm saying is here's what
16 I would like you to assume. I would like
17 you to assume that I'm not just limiting
18 myself to a single set of data or a single
19 data.
20 A M'hmm.
21 Q What I'm doing is going through all of the
22 sources in which water levels are measured
23 around these TMPs in the neck and that
24 would include every time a gas intercept
25 well is measured for water level. Every

1 time a gas extraction well is measured for
2 water. Every time a boring is taken and
3 the boring column tells us when the
4 saturation begins, then I'm looking at all
5 of those sources together and considering
6 what all of them tell me. That's the kind
7 of comprehensive thing you would like to
8 see?

9 A That would be decree.

10 Q

11 A Constructive, yes.

12 Q And if that look said to you the water
13 table is above the heart of the reaction,
14 if you came to that conclusion yourself,
15 then that would cause you to essentially
16 start rethinking your whole report?

17 A I would definitely think that's an
18 important consideration to take into
19 account without a doubt and I would look
20 at trying to understand the
21 three-dimensionality of what's going on in
22 the wells, etc.

23 Q It's a little more than that though isn't
24 it? Is didn't you tell me yesterday that
25 finding out the reaction was below the

1 water table would in your mind contradict
2 fundamental laws of thermal dynamics?

3 A Basically what I was saying at the time
4 yesterday was that if the temperatures
5 observed in the temperature monitoring
6 probes were such that they exceeded the
7 boiling point of water such that the
8 liquid phase could not exist, then.

9 Q You're reminding me.

10 A Then it would be a violation of whatever
11 thermal dynamic principles.

12 Q And let me go to that one. Do you recall
13 I discussed with you the effect of depth
14 on boiling point?

15 A Yes, sir.

16 Q And the question of whether standard
17 temperature and pressure changes at this
18 landfill?

19 A Yes, sir.

20 Q Did you do anything subsequent to our
21 discussion yesterday to try to bring that
22 home a little closer to an understanding?

23 A Yes, sir. I looked into that to some
24 degree to look at the curve of basically
25 the boiling point versus pressure curve to

♀

1 familiarize myself. I was fully aware of
2 it and I think it's mentioned in my report
3 that that boiling point was a temperature,
4 but I have not looked into it in detail
5 because I thought it was a relatively
6 minor effect and so I refreshed my memory
7 and actually I had it basically in front
8 of me that the pressure varies or the
9 boiling point will vary as a function of
10 depth to some degree possibly I would say
11 within the zone of influence possibly up
12 to maximum of 300 degrees Fahrenheit I
13 would guesstimate just looking closely.

14 Q What you're saying is is with the depths
15 and pressure here, that the further down
16 you go, the higher temperature it takes
17 for water to boil?

18 A Yes, sir.

19 Q And the change is so significant that
20 whereas the normal atmospheric boiling
21 point of water is 212 degrees on your
22 stove Fahrenheit --

23 A Yes.

24 Q -- that down deep in this landfill water
25 doesn't boil until you get it all the way

1 up to 300 degrees?

2 A Possibly, yes, sir.

3 Q Now, I want to go back to close off one
4 loose end that I left yesterday. It is
5 pretty fundamental to your five step
6 description which is a theory of kind of
7 of what happened here.

8 A M'hmm.

9 Q It is pretty fundamental to appreciate
10 something called the water-gas shift
11 reaction, correct?

12 A Yes, sir. One of the reactions that I
13 believe is involved, yes, sir.

14 Q Did you know with the water-gas shift
15 reaction before you spoke with Dr. Grace
16 and Mr. Foss-Smith?

17 A Yes, sir.

18 Q You had heard of it before?

19 A Yeah, I came across it, like I said, back
20 in 2014 when I was working on the winnipeg
21 project and trying to explain the hydrogen
22 levels that we were seeing there.

23 Q And was it provided to you there or did
24 you just run across it doing some
25 research?

♀

1 A I ran across it basically doing research.
2 Q You didn't remember it from your college
3 chemistry course, did you?
4 A I don't think I ever encountered it in my
5 college chemistry.
6 Q You only took one college chemistry?
7 A It would have been one or two in
8 engineering school.
9 Q An introductory level?
10 A Yes.
11 Q And so you certainly don't call yourself a
12 chemist or don't claim to have expertise?
13 A By no means and that's why I recommend in
14 the report somebody knowledgeable be
15 retained to look at this.
16 Q And then your company yourself how large a
17 company?
18 A We have a staff of 16 or so.
19 Q That includes clerical people and billing
20 people, too?
21 A Correct.
22 Q But among the professionals and I don't
23 mean to suggest anyone among the people
24 who do environmental work in your company
25 there's not one among them who is regarded

1 as a chemical engineer or a chemist by
2 background?

3 A No, sir.

4 Q Now, the extent to which you have examined
5 the water-gas shift reaction is you did
6 some research in the context of trying to
7 understand the winnipeg landfill?

8 A M'hmm.

9 Q You did some work and conversations in
10 trying to understand the Bridgeton
11 Landfill. You had conversations with
12 Dr. Grace and received written information
13 from him and you had conversations with
14 Mr. Foss-Smith and received written
15 information from him. Is that kind of the
16 sum total of your activities?

17 A Pretty much, yes, sir.

18 Q And is there a particular reference that
19 you relied upon as the correct description
20 of what the water-gas shift reaction is
21 and how it works and what it requires?

22 A I reviewed a couple sort of technical
23 papers on the reaction itself.

24 Q Okay.

25 A And I off the top of my head could not

1 cite exactly which ones. I would have to
2 look through my files.

3 Q I was just going to ask you if you could
4 just look at the references at the back of
5 your report and point them for us.
6 They're on pages 117 through 119 and if
7 you could just identify which ones I need
8 to go read.

9 A Oh, I would say the key one would be by
10 Mr. Smith a review of the water-gas shift
11 reaction schematics starting point and
12 then I believe the correspondence with
13 Mr. Patrick Foss-Smith that discussed it
14 in I believe it was one of the the e-mail
15 would be the 2nd.

16 Q So go ahead.

17 A And then the third would be the report by
18 Dr. Grace.

19 Q So the Foss-Smith e-mail and the grace
20 report are specific appendices to your
21 expert report and the Smith article is
22 titled Smith Loganathan and and /SHA*PBT a
23 review of the water-gas shift reaction
24 kinetics from the international journal of
25 chemical engineering in 2010?

♀

1 A Yes, sir /(.

2 Q So I would just like to ask you a series
3 of questions that relate to the water-gas
4 shift reaction to see if we can identify
5 some things that are fundamental.

6 Here's the first one in the
7 water-gas shift reaction, as hydrogen is
8 generated would that increase or decrease
9 the reaction rate?

10 A If you wouldn't mind I would just like to
11 turn to just so I have the reaction in
12 front of me written down.

13 Q Sure. What page are you on the report,
14 Exhibit 1?

15 A I've just got to find it. It's basically
16 the correspondence with Mr. Grace.

17 Q Oh, do you need to see his letter? It's a
18 separate exhibit?

19 A I extracted it. I'm looking at page 41.

20 Q Thank you. All right. So we're in
21 Exhibit 1 your report page 41 and that is
22 where you extracted some information from
23 Dr. Grace's letter in order to set out in
24 your report a description of the reaction?

25 A Yes, sir.

♀

1 Q -- itself. Is this a verbatim excerpt
2 from his report that you just imported
3 into your own?

4 A Yes, sir.

5 Q So my question is going to be in the
6 water-gas shift reaction, as hydrogen is
7 generated, would the reaction rate
8 increase or decrease?

9 A My understanding is that it would
10 basically not be affected by because
11 there's basically two molecules on either
12 side of the reaction, so the change would
13 not be affected.

14 If additional hydrogen gas was being
15 generated and not removed I would think
16 based on the principles of then the
17 reaction would eventually slow /(.
18

19 Q So was your answer increase, decrease or
20 stay the same?

21 A It would depend on what was actually going
22 on within the reaction vessel.

23 Q And I'm doing nothing except causing the
24 generation of hydrogen and the question is
25 what is the effect of hydrogen generation?
Does it cause the reaction to increase,

♀

1 reaction rate to increase decrease or stay
2 the same?

3 A And what I'm saying is that if you have a,
4 you know, a fixed amount of carbon
5 monoxide and water and the reaction starts
6 to proceed and you start generating
7 hydrogen, that the concentration of that
8 will continue to increase until you reach
9 an equilibrium -- as dictated by that
10 equilibrium constant and then the reaction
11 is going to stop, so I'm unclear what
12 you're trying to get at.

13 Q So specifically, though, if the question
14 exactly is in the water-gas shift reaction
15 as hydrogen is generated would this
16 increase the reaction rate or decrease the
17 rate, your answer is I can't say either
18 increase or decrease or stay the same. I
19 have to give you that explanation?

20 A Yeah, I would say it would sort of depend
21 on if you're removing the hydrogen, you
22 know, if there's a continuous source of
23 carbon monoxide and hydrogen what are the
24 concentrations of the reactions in the
25 products as a reaction is proceeding as

- 1 they changing or are they steady.
- 2 Q Let me ask you my second question and that
- 3 is very simply: Does pressure impact the
- 4 water-gas shift reaction?
- 5 A I would say that again my background in
- 6 chemistry is insufficient to really say
- 7 that other than what was provided by
- 8 Dr. Grace and I'll just quickly scan here
- 9 yeah, and so the last sentence there
- 10 because there's no change in the total
- 11 number of moles in this after the accident
- 12 that the reaction is independent of the
- 13 total pressure.
- 14 Q So to be fair about what just happened you
- 15 didn't know the answer in what Dr. Grace
- 16 had written?
- 17 A Correct. I'm not an expert in chemistry.
- 18 I rely on Dr. Grace's expertise.
- 19 Q So you would get a better grade if it's an
- 20 open book text than a closed book?
- 21 A I would say that's true.
- 22 Q The question is: Does the conversion of
- 23 carbon monoxide plus water to hydrogen
- 24 always decrease with temperature?
- 25 A Conversion ... constant increases...

1 (witness reading to himself) yeah, and so,
2 again, from what I'm interpreting
3 Dr. Grace's input here is that it's highly
4 dependent on two things: Basically the
5 equilibrium constant and kinetic rate
6 constant and what the two are sort of
7 offsetting and so it's not a
8 straightforward thing I would say that if
9 you say it always happens one way or
10 another I sort of draw the conclusion that
11 that's probably not correct.

12 Q Let me ask you to do this if you don't
13 mind, please. And let's take the
14 remainder of the test closed book.

15 A Yes, sir. I would be happy to do that.

16 Q Here's my next question because I'm just
17 trying to understand you're how much of
18 this you're able to provide on your own
19 without Dr. Grace's help. How does the
20 landfill gas affect the water-gas shift
21 reaction?

22 A So basically landfill gas is predominantly
23 made up of, you know, a good level of
24 carbon dioxide which is one of the
25 reactants and water which landfill gas is

1 saturated with moisture, so the two
2 reactant products are there, so there
3 would certainly or, sorry, I should say
4 carbon monoxide with water reacts.

5 So essentially landfill gas on its
6 own is typically devoid of carbon
7 monoxide, right, so the water-gas shift
8 reaction would tend not to occur and let
9 me just -- I would like to write something
10 down for myself.

11 Q Sure.

12 A Yes, so one two, one two. So I just wrote
13 the water-gas shift reaction myself to
14 answer that clearly.

15 So basically in typical landfill gas
16 that's not involved in the subsurface
17 exothermic reaction is generally devoid of
18 carbon monoxide and so one of the
19 reactions to occur is not there in the
20 water-gas shift reaction to occur would
21 not take place.

22 However, if you get into a situation
23 where you have a pyrolysis such as I'm
24 suggesting is the case that's producing
25 elevated levels of carbon monoxide like

♀

1 the up to 3 or 4,000 ppm that we see in
2 laboratory analysis, then that carbon
3 monoxide all of a sudden becomes available
4 and then there's the ability for that
5 carbon monoxide to react with water to
6 essentially produce the carbon dioxide and
7 the hydrogen gas as one of the -- I
8 believe is is one of the sources of the
9 hydrogen that seems to be a signature of
10 what's going on at this facility and
11 others that appeared to be in this SSSER
12 state that hydrogen is a key indicator of
13 that chemical reaction.

14 Q And so that's the answer to the question
15 how does the landfill gas affect the
16 water-gas shift reaction?

17 A Yes, that's basically.

18 Q What about the CO present I'm sorry the
19 CO₂ present in the landfill gas does that
20 have any effect?

21 A Yes, and so on the equilibrium constant as
22 you increase the carbon dioxide
23 concentrations, for example, that would
24 tend to sort of have a reverse effect that
25 if you were to increase the CO₂

♀

1 concentrations it's basically an
2 equilibrium constant and it will dictate,
3 you know, how much of that reaction is
4 going to occur.

5 Q what's the result then if the CO₂ is it
6 present in the landfill gas? Is what is
7 the result from the reaction?

8 A Well, it will really depend on the
9 concentrations of all four parameters
10 together. So if, you know, like typically
11 landfill gas will have maybe 40 percent
12 carbon monoxide or carbon dioxide and what
13 we're seeing at Bridgeton I think in the
14 highest levels is possibly some levels of
15 up to 60 percent carbon dioxide and very
16 aerobic levels so there's maybe a 50
17 percent increase.

18 On the other hand the carbon
19 monoxide concentrations climbed from zero
20 to 4,000, so I would say that that, you
21 know, CO levels dramatically override the
22 equitable balances towards the water-gas
23 shift reaction that the increase in the CO
24 concentrations is dramatically higher than
25 the CO₂.

♀

- 1 Q As you wrote down the water-gas shift
2 reaction reaction from the notes that
3 you're, did you make it reversible?
- 4 A I did not but it is a reversible reaction,
5 so that would be basically both ways.
- 6 Q Let's make sure we made a good record of
7 what you just did. You had on a closed
8 book basis written down the reaction and
9 you only have the arrow going one way. In
10 response to the question I just asked, you
11 now added an arrow going the other way to
12 make it reversible?
- 13 A That's because I was depicting the
14 water-gas shift reaction which in the way
15 it's described is in that direction. The
16 direction that you asked me to draw
17 subsequently is called the reverse
18 water-gas shift reaction that would have
19 the reverse arrow.
- 20 Q And it's --
21 [Indiscernible - simultaneous speaking]
- 22 A Anyway, it's recognized as a reversible
23 reaction that can go in any direction
24 depending on the concentrations.
- 25 Q And that's the predicate for my next

♀

1 question and that is since the reaction is
2 reversible, how can you determine in
3 which direction the reaction will proceed
4 based on gas measurements at the landfill?
5 A Basically, I think it's a combination of
6 looking at the concentrations of the
7 various products and whether they're
8 increasing or decreasing to some degree
9 and also on the temperatures that
10 typically I was looking to find reactions
11 and Dr. Grace provided some potentially
12 other reactions that could be playing a
13 role to actually explain why temperatures
14 in the subsurface are increasing because,
15 as I mentioned yesterday that the
16 pyrolysis processes or the torrefaction
17 processes are considered endothermic and
18 I'm trying to find an explanation of what
19 was actually causing the increase in heat
20 so looking for any reactions that were
21 exothermic in nature and basically as
22 shown in the forward direction of the
23 water-gas shift reactions is one reaction
24 that's known to be exothermic whole range
25 of oxidative reactions that are known to

♀

1 be exothermic and subsequently have some
2 question whether some of those reactions
3 are also contributing and I believe I may
4 have mentioned that in the report.

5 Q So before I move on to the water-gas shift
6 reaction to the next, I want to ask about
7 Mr. Foss-Smith for a moment. Is
8 Mr. Foss-Smith a chemical engineer?

9 A I reviewed his resume at one point and I
10 unfortunately do not have an exact
11 recollection of his educational
12 background. He definitely appeared
13 knowledgeable to me in the chemical
14 processes of the reaction.

15 Q And let me just draw a parallel, if I
16 might, and see if we can figure out where
17 Mr. Foss-Smith falls.

18 Mr. Foss-Smith specializes in
19 addressing landfill fires?

20 A Yes, sir.

21 Q And that's similar to the orientation of
22 one of your companies, landfill fire
23 control Inc.?

24 A Yes, sir.

25 Q You do not have a chemical engineering or

1 chemistry capability in your company so
2 when you need that capability to
3 understand these reactions you go outside?

4 A Yes, sir.

5 Q Do you know whether he's in that same
6 position where if he needs to understand
7 these reactions he ends up consulting with
8 someone at least initially until he's got
9 a full ingestion of the reaction and then,
10 you know, in other words is he more more
11 like Dr. Grace?

12 A I would say without reviewing his resume
13 and talking to him in more detail I cannot
14 comment and that's why I relied
15 predominantly on Dr. Grace's letter and
16 extracted his information because I felt
17 he had the qualifications and credentials
18 to help me.

19 Q And so if Mr. Foss-Smith said I looked at
20 bridge too and it looks like a water-gas
21 shift reaction as far as I'm concerned you
22 took that with a grain of salt because you
23 didn't know how much chemical engineering
24 experience he had?

25 A Basically I did not take that into account

1 at all. In fact when you point out in the
2 memo when I received the memo I was really
3 interested in his British experience and
4 whether anybody else had experienced or
5 recognized that this water-gas shift
6 reaction may be occurring in landfills and
7 that's basically the confirmation I was
8 looking at from him that he felt it was
9 also occurring. As to how he was
10 concluding that I did not get into that.
11 Q So as between the two you would say you
12 relied on Dr. Grace as opposed to
13 Mr. Foss-Smith?
14 A Yes, sir.
15 Q And from for Mr. Foss-Smith did he ever
16 indicate that he ever worked on one like
17 Bridgeton whose geometry it is built into
18 a deep quarry and which contains a very
19 high liquid level inside the quarry?
20 A We didn't get into the details of the
21 areas where the reaction was occurring.
22 Q Okay. Now, with respect to stepping away
23 from the test for a moment?
24 A Yes.
25 Q With respect to Winnipeg site that you

1 worked on, is that one located in a deep
2 quarry?

3 A No, sir.

4 Q And is that one in a very wet context sort
5 of like Bridgeton Landfill is?

6 A There is definitely leachate present
7 within the landfill. I do not believe the
8 levels are as high as what Bridgeton. It
9 has a fairly thick waste column because
10 it's more of a mountain.

11 Q It's above ground?

12 A It's an above ground landfill.

13 Q And with respect to that difference, is it
14 fair to say that the interpreted location
15 of the reaction at the Winnipeg landfill
16 is certainly above the water table within
17 the waste?

18 A Correct, yes.

19 Q And was there at the Winnipeg landfill a
20 simply identifiable special waste stream
21 such as aluminum process waste or an
22 aluminum oxide waste that you were able to
23 identify as being potentially related to
24 the reactions sort of like County wide?

25 A No, sir. From my understanding that the

♀

1 winnipeg landfill is predominantly a
2 municipal solid waste facility that
3 receives predominantly residential and
4 commercial waste streams and to my
5 knowledge it has not been pointed out that
6 it has received any sort of aluminum
7 draws-type industrial waste or, but I have
8 not done an exhaustive review of the
9 materials that were received at that
10 facility yet.

11 Q Did winnipeg actually install thermistors
12 or temperature monitoring probes in the
13 landfill?

14 A Not at this point. We had installed a
15 number of wells to collect gas samples and
16 we lowered temporary thermistor strings
17 (phonetic) into those wells to profile the
18 temperatures at a depth.

19 Q And were you involved in that activity?

20 A At points. Most of the field work was
21 conducted by Dr. Abedini.

22 Q But your company was?

23 A Yes, sir, initially and then technicians
24 for the city of winnipeg kind of carried
25 on the program subsequently.

♀

1 Q So you left the equipment with them to
2 operate?

3 A They rented their own.

4 Q Okay. Is that the first time that you and
5 Dr. Abedini had used thermistors or
6 temperature monitoring probes in a
7 landfill?

8 A No, we've used them on numerous projects.

9 Q Okay. And when you spoke with
10 Mr. Thalhamer one of the things that he
11 told you about was other landfills which
12 were public has come to be associated with
13 and one of them was County wide, one of
14 them was congress?

15 A Yes, in had passing he's mentioned County
16 wide and high pressures that are
17 developed. I've never sort of spent a lot
18 of time talking to him about the details
19 of either of those facilities.

20 Q Did he talk to you about Middle Point in
21 Tennessee?

22 A I have no recollection of him talking
23 about that facility.

24 Q Did he talk to you about any landfills in
25 California?

♀

- 1 A I have a vague recollection of one point
2 we may have talked about the hunter
3 shipyard project possibly and certainly
4 have talked a lot about the landfill fire
5 in Fresno California and one substantial
6 tire fire in California.
- 7 Q What I intended to ask you was did
8 Mr. Thalhamer talk to you about any
9 landfills that are operated by
10 subsidiaries of Republic Services that are
11 in California?
- 12 A Not that I'm aware of.
- 13 Q Okay. All right. Let me go back to just
14 finish my set of questions and I'm
15 actually going to let you turn to page 41
16 of your report so that you can see the
17 steam gasification reaction?
- 18 Q In your Dr. Grace's letter that you have
19 imported into your report you described or
20 Dr. Grace describes the steam gasification
21 as "sometimes referred to as the water-gas
22 reaction is that right?
- 23 A Yes, sir.
- 24 Q Now, my question for you is as you look at
25 the reaction description, why is the

1 reaction, the steam gas reaction not
2 written reversibly?
3 A Because it is an irreversible reaction
4 that for whatever reason, you know, only
5 proceeds in one direction and again I
6 suspect it's because one of the input
7 parameters is solid carbon and it's
8 possibly the chemistry is such that
9 generated enough solid carbon going the
10 other direction is not possible, but I
11 would again defer to Dr. Grace to explain
12 why it's an irreversible reaction.
13 Q You assume it's irreversible because he
14 says so?
15 A Yes, sir.
16 Q Aren't all -- don't all reactions have
17 equilibrium constants?
18 A I again would assume -- yeah, I would hate
19 to guess on this and I don't know.
20 Q And do you know what equilibrium constant
21 is I added that to my list of questions?
22 A Yes, in principle it's a constant that
23 when you basically take the ratio of the
24 concentrations of the products and
25 reactants the yield essentially as you

1 adjust the concentration of one the other
2 ones will have to adjust to maintain that
3 constant steady.

4 Q If it's a constant how does it change?

5 A well, the equilibrium constant does not
6 change.

7 Q So you would say that the equilibrium
8 constant is actually a constant and not a
9 co-efficient?

10 A That's what I believe, but again I'm not
11 an expert in chemistry and would not want
12 to say I'm exact 100 percent sure of that.

13 Q I thought I had added a question of my own
14 but what I did was asked a question that
15 turned out to be Question 11 on my list,
16 so I've gotten that one out of the way.

17 Let me go back to where I was and
18 ask you Question 7 which is in the steam
19 gasification reaction, since the carbon is
20 solid --

21 A Yes, sir.

22 Q -- is the water a liquid or a gas?

23 A I would say that probably depends on -- on
24 the temperatures at which the reaction is
25 going but given that it's called steam,

1 probably would be in the gaseous form
2 because steam is generally considered in
3 the gaseous form.

4 Q So let's move on past the -- by the way,
5 did you say that the steam gasification
6 reaction is occurring at Bridgeton
7 Landfill or has?

8 A No, I said it's one of the potential
9 reactions that I believe could be
10 occurring, although because it's an
11 endothermic reaction I felt it would not
12 be one that's particularly important
13 because what I'm very concerned about is
14 understanding what's actually generating
15 the elevated temperatures.

16 Q And then for the Boudouard Reaction which
17 is Boudouard, that's also not something
18 you're saying is occurring in the
19 Bridgeton Landfill or has?

20 A That one I definitely felt there may be an
21 opportunity for this reaction to be
22 occurring, in fact is the reverse
23 Boudouard Reaction going in the other
24 direction and the reason I say this is,
25 again, that in the direction shown

1 Dr. Grace pointed out, it's an endothermic
2 reaction when we have a lot of carbon
3 monoxide being generated by the pyrolysis
4 process, that, you know, I feel that
5 indeed this may be one of the reasons or
6 pathways for -- for the generation of heat
7 and the increase in carbon dioxide that
8 we're seeing so I would not discount that
9 and I would say that's a very real
10 possibility that that reaction may be
11 occurring, the reverse Boudouard Reaction.

12 Q But, to be fair about it, what you're
13 doing is taking a description of the
14 reaction provided to you by Dr. Grace,
15 applying that to the information that
16 you're aware of concerning the landfill
17 and making the judgment you've just
18 expressed?

19 A Well, I'm relying on what Dr. Grace again
20 passed to me that the reverse reaction
21 could be relevant if the landfill is more
22 favoured at lower temperatures (phonetic),
23 so --

24 Q So would it be fair to express it this way
25 that given his broader, deeper more

♀

1 extensive knowledge of each of these
2 reactions you would be more comfortable
3 with Dr. Grace answering questions about
4 which, if any, is occurring at Bridgeton
5 Landfill than yourself?

6 A Absolutely.

7 Q And at any point did you suggest to the
8 Attorney General's office that they simply
9 add Dr. Grace to their other 12 experts so
10 that they would actually have someone who
11 could appear before the jury and testify
12 as an expert in chemical engineering?

13 A Basically I explained to the Attorney
14 General my or, sorry, to the
15 representatives for the Attorney General's
16 office that, you know, my background in
17 chemistry was weak and that I would want
18 to seek other experts to provide input and
19 I was advised I should proceed to meet
20 with them, get a letter of opinion and
21 then I incorporate that into my report and
22 that's basically what I did. I'm new to
23 this deposition and legal process, so in
24 terms of how to engage these people is
25 something that I felt that I don't know,

1 you know, who should give advice to who.
2 I believe it's very clear I made it clear
3 that I don't have a strong understanding
4 of chemistry and that I need additional
5 support in that area to try and help me
6 explain the, you know, the repeated trends
7 that I was seeing in this every one of my
8 figures and that's what I was trying to
9 basically come up with a somewhat rational
10 explanations of the patterns I was seeing
11 time after time in the gas wells.

12 Q And recognizing I don't for a moment
13 suggest that you're in charge of the
14 litigation strategy for the Attorney
15 General?

16 A M'hmm.

17 Q But do you know of any reason why
18 Dr. Grace wasn't simply added to the team
19 as another expert witness?

20 A No, sir, I don't.

21 Q And so I now want to move on in your list
22 of reactions provided by Dr. --

23 A Just a -- one thought I have a vague
24 recollection and again this was happening
25 very close to submission of my report and

1 it may be purely a time constraint, but
2 you would have to ask the representatives
3 at the Attorney General's office that.

4 Q And then the next reaction on your list
5 there on page 41 that you imported from
6 Dr. Grace's letter is the methanation
7 reaction?

8 A Yes, sir.

9 Q Methanation?

10 A Yes, sir.

11 Q And is that simply the reaction that
12 produces methane?

13 A It's one of the reactions that produces
14 methane. Definitely the most common
15 process in landfills for methane
16 production is a bacterial process that is
17 not the methanation reaction. This is
18 basically purely a chemical reaction or
19 actually two chemical reactions that are
20 listed here that again involve, you know,
21 some of the reactant products that I
22 believe are present as a result of the
23 pyrolysis process and these other things
24 that are going on and again exothermic and
25 so I felt that and what I was seeing in

1 the trends that the rapid climb in
2 hydrogen leading up to step 4, from step
3 3, this seems to be a very in my mind a
4 reasonable explanation of, you know, where
5 heat is coming from and initially starting
6 to drive that reaction.

7 Q well, the normal method of methanogenesis
8 in a landfill is that organisms produce
9 methane?

10 A Yes.

11 Q whereas what's written here is the
12 methanation reaction has nothing to do
13 with any living creature like an organism,
14 but it's actually a chemical reaction?

15 A Yes, sir.

16 Q And are you saying -- well, let me just
17 ask a few questions about the methanation
18 reaction. The first I would like to
19 observe that the methanation reactions
20 written are very different from the other
21 ones because the methanation reactions
22 have five reactants. Do you see that?
23 CO₂ plus 4 hydrogen?

24 A Yes, sir.

25 Q So for those five reactants does that mean

1 that five molecules must come together at
2 once for the reaction to occur?

3 A Basically that would be correct that you
4 would require or let me correct myself
5 here, that the way it's written is in a
6 balanced form, but the product is CO₂
7 reacts with hydrogen to produce hydrogen
8 and water or, sorry, methane and water and
9 so basically what would have to happen is
10 that there will be a collision with the
11 carbon dioxide and two hydrogen molecules.
12 The oxygen would then get stripped off and
13 a collision with another two hydrogen
14 molecules, so you would get basically a
15 methane molecule and two hydrogen or sorry
16 two hydrogen molecules as the end product.

17 Q All right. My ninth question is again for
18 the methanation reactions, since the
19 biological reactions are producing far
20 more methane compared to hydrogen,
21 shouldn't the reactions occur in the
22 endothermic direction?

23 A well, the way I see it, that the
24 conditions in the landfill at the time of
25 the stage 3 are such that the temperatures

1 are generally elevated above the
2 temperatures where methanogenic bacteria
3 can survive which is typically about 131
4 degrees Fahrenheit and also the oxygen
5 levels in some instances are elevated to a
6 point where the dominant gas being
7 produced is carbon dioxide and so I
8 believe that all of the methanogens have
9 basically died off and been replaced by
10 bacteria-producing CO2 in many of the
11 instances.

12 That's kind of what we're seeing in
13 chemical charts that we're seeing
14 basically normal landfill gas composition
15 transitioning first to an aerobic
16 conditions where carbon dioxide dominates
17 which is typical of basically aerobic
18 landfills and that's basically conditions
19 that are not supportive of methanogenic
20 bacteria.

21 And then in my charts what I saw is
22 once those conditions are established that
23 there's a very sudden ramp up in methane
24 concentrations which some people suggested
25 it's the recovery of these methanogenic

1 bacteria. I was skeptical of that
2 conclusion. I believe that this
3 methanation process actually provides a
4 much better explanation of that because
5 then in step 4, the methane seems to crash
6 to zero and I believe that's simply
7 because at that point the methanation
8 reaction stops and the other chemical
9 reactions take over.

10 Q And I want to make sure that I've put this
11 in the transcript in an appropriate
12 location. A couple of times during this
13 sort of testing that we're doing you
14 referred to a step, step 3 or step 4?

15 A Yes, sir.

16 Q When you've made those references, what
17 you're referring to is what your report
18 describes as the suspected five reaction
19 steps?

20 A Correct.

21 Q Now, my last question on this group is:
22 Can you explain the difference between
23 kinetics and equilibrium and are they
24 related?

25 A I would again on that one I would defer to

1 Dr. Grace because it's going way back to
2 chemistry 100 and I understood it at that
3 time, but I no longer have a good
4 recollection of what those -- those
5 processes.

6 Q And if you just turn the page to page 42,
7 at the end of your quotation from
8 Dr. Grace, you have a final paragraph of
9 Section 5 of your expert report and can
10 you just read the first sentence that you
11 wrote there?

12 A This is all these reactions are strongly
13 exothermic.

14 Q I'm sorry, after the quotation which is
15 italicized. Go down to the last paragraph
16 and read the first sentence?

17 A So what I said Dr. Sperling and Abedini,
18 that's the sentence you're looking for?

19 Q Yes, sir?

20 A Sperling and Dr. Abedini are not experts
21 in chemical reactions.

22 Q That's enough. I just asked for the first
23 sentence?

24 A Oh, sorry, okay.

25 Q And so when you said in your report Dr.

♀

1 Sperling and Dr. Abedini who is your
2 colleague are not experts in chemical
3 reactions that is true?

4 A Absolutely. I think I demonstrated that
5 by my lack of being able to explain. I
6 never presented myself as an expert in
7 that area.

8 Q And it was true at the time you wrote the
9 report and it's true today?

10 A Yes.

11 Q Could I ask you to turn to page 110 of
12 your report so I can just get through this
13 question of the steps, whether it's five
14 steps or 12, seven, 12. We're in the
15 conclusion section of your report where
16 you essentially tie up everything and
17 section 12.2 is the conclusions that you
18 expressed as your report in this case
19 about the processes driving the conditions
20 at Bridgeton, correct?

21 A Yes, sir.

22 Q And the way you phrased it I want to be
23 very precise about. You said analysis,
24 just read along with me. Analysis of
25 monitoring data indicates that the SSSER

1 involves a five step reaction process?

2 A Yes, sir.

3 Q LFCI suspects that the five reaction steps
4 are step 1 overdraw condition. Step 2
5 aerobic heating phase. Step 3 methanation
6 reaction. Step 4, torrefaction/water-gas
7 shift reaction. Step 5, recovery.

8 A Yes.

9 Q Did I read that accurately?

10 A Correct.

11 Q And that was intentional in expressing the
12 degree of professional certainty you felt
13 about that conclusion?

14 A Yes, by saying that we suspect that based
15 on the patterns that we saw in the graphs
16 and the reaction parameters that that's
17 what we drew our conclusions are.

18 Q When you inserted I'm on a totally
19 different topic so you won't find the
20 answer in front of you and Dr. Grace
21 didn't write it.

22 When you wrote your expert report
23 and used the term Hindenburg?

24 A Yes, sir.

25 Q Were you intending to try to terrorize the

♀

1 people of St. Louis County?

2 A No, sir.

3 Q Were you intending to evoke fear?

4 A No, sir.

5 Q were you intending to make people think
6 that they are at risk that Bridgeton
7 Landfill somehow is going to blow up?

8 A No, sir.

9 Q we said yesterday at the end of the day
10 although I didn't tie this up, you said
11 yesterday that there's never been a
12 temperature identified in any measurement
13 at Bridgeton Landfill either in the
14 landfill gas extraction well or in the
15 landfill waste mass at a temperature
16 monitoring probe never anything
17 approaching 400 degrees?

18 A Yes, sir.

19 Q And when Mr. Foss-Smith wrote you his
20 description of things and I don't want to
21 remember it. I think I want to put it to
22 you you're welcome to look at it because
23 it's in the pile in front of you?

24 A Does it have an exhibit number?

25 Q It's exhibit number -- I can't remember

♀

1 which exhibit it is. It's 6.

2 A Foss-Smith personal communication, okay.

3 Q And I would like you to turn to the first
4 page of his e-mail and look at the last
5 numbered paragraph of his e-mail paragraph
6 numbered 6 and simply read the last
7 sentence?

8 A Hydrogen has a high ignition point around
9 400 C and is unlikely to spontaneously
10 ignite.

11 Q That's true, isn't it?

12 A I would like to basically explain to you.
13 You seem to be very concerned about the
14 example the Hindenburg and I mentioned
15 yesterday I was very concerned about the
16 gas bubble that was present under the
17 liner and basically I expressed to you
18 that I'm very concerned about the health
19 and safety of the employees, you know, in
20 those situations and basically my
21 experience goes back to actually high
22 school chemistry in this case where while
23 experimenting I found this quite exciting
24 we were able to actually produce hydrogen
25 gas from I and I don't recollect now how

1 it was done in this mixing some kind of
2 acids, whatever, but we actually produced
3 hydrogen gas in baggies and with a very
4 simple spark we detonated that gas and it
5 exploded and we found that extremely
6 amusing and interesting.

7 And that's my concern, sir, is that
8 when the employees at the site basically
9 deflate that bubble and there happens to
10 be an excavator that hits a rock and
11 generates a spark, that there could be a
12 detonation that could be fatal to the
13 employees at the site, and that's why I
14 said Hindenburg.

15 Q And I think that's a good question to the
16 one so I'm going to move to strike as
17 non-responsive.

18 My only question is this: when
19 Mr. Foss-Smith wrote to you the sentence
20 "hydrogen has a high ignition point around
21 400 degrees Centigrade or Celsius and is
22 unlikely to spontaneously ignite" that's
23 true, isn't it?

24 A I would expect so. I again hadn't
25 researched the ignition point of hydrogen

♀

1 gas.
2 Q well, let's assume for a minute that he's
3 right and do the Fahrenheit conversion.
4 The Fahrenheit conversion is nine fifths
5 of 400 which is 720 degrees, right?
6 A
7 Q Plus 32?
8 A Yes.
9 Q So the conversion is 752 degrees
10 Fahrenheit is the ignition point of
11 hydrogen?
12 A Yes, sir.
13 Q Does that sound about right?
14 A Yes.
15 Q And that's more than twice any value
16 that's ever been detected in any device
17 anywhere in Bridgeton Landfill?
18 A Basically in the subsurface there's two
19 things I would like to qualify there.
20 Q You can after you answer my question.
21 First you need to answer my question.
22 A Okay.
23 Q My question was: 752 degrees Fahrenheit
24 is more than twice the value of any
25 temperature reading ever taken anywhere at

1 Bridgeton Landfill, correct?

2 A Any reading taken anywhere, but not any

3 temperature likely to be anywhere.

4 Q Can you answer my question first? Is this

5 is what I said true? And then you can

6 explain.

7 A Well, if we want to get into specifics

8 probably the temperature is measured much

9 hotter than 752 Fahrenheit.

10 Q You're welcome to claim that. First of

11 all, is it true that with all of the gas

12 extraction wells where temperature is had

13 been periodically and with all of the

14 thermistors or temperature monitoring

15 probe where temperature is measured

16 directly in the waste mass there has never

17 been a temperature reading in the

18 subsurface which is even as much as half

19 of 752 degrees Fahrenheit. Is that much

20 true?

21 A Yes.

22 Q And would you like to explain some

23 difference with my point of view?

24 A Yes, sir.

25 Q Thank you. Would you do that?

♀

1 A And so as I mentioned hydrogen gas is a
2 gas when it combines with oxygen can be
3 highly exothermic and explosive as was
4 demonstrated by my reference to the
5 Hindenburg and basically when there's a
6 spark generated by whether it's a flint or
7 machinery or whatever it can instantly
8 generate at that point enough elevated
9 temperature to basically detonate that gas
10 and that was my concern.

11 Q And what you're referring to when you
12 refer to an ignition source like a spark
13 igniting hydrogen gas is at a time when
14 the hydrogen gas is in a concentration in
15 whatever it's in that is within the
16 ignitable range?

17 A Yes, sir.

18 Q And for hydrogen the igniting range is
19 broad it's like 4 percent to 75 percent,
20 right?

21 A I don't know the specific explosive range
22 of hydrogen.

23 Q But in what you referred to as being the
24 source of your concern which is you saw
25 places or at least a place where there was

♀

1 bill owing, visible billowing of gas
2 trapped by the EVOH cover over the South
3 Quarry?

4 A Yes.

5 Q And you said, all right, that billowing
6 contains gases?

7 A Yes, sir.

8 Q And some of those gases could easily be
9 hydrogen by virtue of the hydrogen content
10 of the landfill and the potential hazard
11 exists if someone took a piece of heavy
12 equipment and worked in that area and
13 caused a spark to come close to the
14 billowing, fair enough /(?

15 A And particularly when that billowing is
16 deflated and I wasn't sure how that process
17 is done, but generally that pressure
18 seemed to be during the construction of
19 these concrete removal or concrete what
20 the heck were they called, CRPs I think,
21 the wells that had to be removed from
22 beneath the liner. My impression was that
23 that gas bubble had had to be released
24 because in one photo there's the bubble and
25 then the next one the area is deflated and

1 so my impression was somebody went in and
2 cut that liner to relieve the pressure and
3 let people get on with the work and that's
4 what I was in my mind very concerned
5 about.

6 Q You didn't observe that happen, did you?

7 A No, sir, I just observed it through the
8 photographs where in one there is a bubble
9 and subsequently there wasn't.

10 Q What you're referring to is the reinforced
11 concrete pipes?

12 A Yes, the RCP.

13 Q Didn't you know that the RCP abandonment
14 before the EVOH cover had been laid down
15 and not after?

16 A I would have to go and look at the
17 chronology and possibly the repair that I
18 saw, I mean I assume it was RCP possibly
19 it was one of the wells being injected. I
20 don't have the recollection of exactly
21 what was happening.

22 Q Right.

23 A When those photos were taken.

24 Q I hear you, but here's the sequence I'll
25 ask you to agree with and see if you do.

♀

1 Bridgeton Landfill entered into an
2 agreement with the Attorney General's
3 office to do some work. The first step in
4 that work was intrusive into the landfill.
5 It was intrusive in had the landfill they
6 were actually taking the tops off of the
7 reinforced concrete pipes so that a
8 settlement would occur that wouldn't be
9 the stress of that pipe against the EVOH
10 cover once the cover was later laid down?

11 A Yes, sir.

12 Q And people got concerned enough about the
13 digging into the waste part with the
14 reaction occurring that during the period
15 of time that the reinforced concrete pipes
16 were being cut off to make a place to the
17 cover, we actually were asked to provide
18 hotel rooms for people who lived within
19 about a mile of the landfill and did.

20 A M'hmm.

21 Q And all of that was just a predicate for
22 then having the contractors lay down the
23 EVOH cover. Isn't that how you understand
24 the sequence worked?

25 A Yes, sir. I also understand that or heard

♀

1 that the depth of concrete pipe removed
2 was about 15 feet or something and I don't
3 recollect where I heard that. I somehow
4 anecdotally heard.

5 Q well, you've answered my next question
6 which is who told you that?

7 A Again this is during a field visit. I
8 picked it up as an and it may not be
9 correct.

10 Q well, so now I want to go back to what
11 gave you some concern about an explosion
12 risk to on-site workers.

13 A M'hmm.

14 Q You saw some billowing under the EVOH
15 cover?

16 A M'hmm.

17 MS. WHIPPLE: Assumes facts not in evidence. The
18 objection.

19 MR. BECK: Can I finish the question and then you
20 can object?

21 MS. WHIPPLE: Sorry. I thought that was the end
22 of your question.

23 MR. BECK: Not close. Not close.

24 Q But Dr. Sperling has the courtesy at that
25 acknowledge parts of my question while I

♀

1 ask them on the way which is good for me
2 but not for the Court reporter, so let me
3 get the question out and the question is
4 simply: You personally observed that some
5 material under the EVOH cover caused it to
6 billow which automatically told you one
7 thing and that is that the EVOH cover is
8 good at preventing the pass through of
9 gases, true?

10 MS. WHIPPLE: Objection. Assumes facts in
11 evidence regarding EVOH cover.

12 MR. BECK:

13 Q Go ahead.

14 A So what my comments were based on
15 photographs are placed at some point in
16 the report I reviewed a couple of
17 photographs taken of the billowing gas
18 bubbles at a number of different
19 locations.

20 MR. BECK:

21 Q Were they under EVOH?

22 A They were under the geomembrane EVOH
23 cover, yes, sir.

24 Q And what you could tell first when you saw
25 that that billowing was happening is that

♀

1 the EVOH liner was therefore capable of
2 preventing gas from moving through it?
3 A Yes, sir, as long as it doesn't have holes
4 in it it's very effective at that.
5 Q And that's good from another standpoint
6 which is you're always worried about
7 oxygen or air infiltration into the
8 landfill and the EVOH cover over the South
9 Quarry so long as it remains competent is
10 great for that, right?
11 A Yes, sir.
12 Q And you had the concern you expressed to
13 me yesterday that you saw some places when
14 you made your walk-around the landfill
15 accompanied by Jim getting that you saw
16 some places where there were either rips
17 or tears or defects at a well but some
18 imperfections in the seal of EVOH covers
19 in certain locations?
20 A Yes, sir.
21 Q Did you see other areas where there was
22 some billowing occurring?
23 A I, during that tour that I conducted
24 personally I have no recollection of
25 seeing any billowing on the cover system

1 whatsoever.

2 Q And so let's discuss for the moment what
3 we should draw from the fact that you
4 observed places where there were
5 imperfections in the seal of the EVOH
6 cover over the South Quarry which you
7 thought were prominent enough that if they
8 came to your attention they should have
9 come to Mr. Getting's as well, remember
10 that?

11 A Yes, sir.

12 Q Here's the question: Let's say for a
13 moment that there's a couple of foot tear
14 in the EVOH cover material and air can get
15 in there.

16 A M'hmm.

17 Q What happens to the air?

18 A Basically in the state of vacuum that the
19 landfill is being operated at, the air
20 gets drawn in underneath the EVOH cover.

21 Q To where?

22 A Towards the numerous gas well that are
23 extracting landfill gas.

24 Q So it goes down into the waste?

25 A Yes, sir.

♀

1 Q No, it doesn't.
2 A It absolutely does.
3 Q Okay. Isn't what you just said impossible
4 by virtue of the design of the EVOH cover
5 system?
6 A Not that I'm aware.
7 Q When you saw the EVOH cover, did you
8 notice that it had channels in the cover
9 that kind of look like, you know, spider
10 legs or something?
11 A I did not notice that. Basically I saw a
12 green geomembrane that covered the whole
13 site.
14 Q Have you seen the gas and leachate
15 collection channels that are built into
16 the subsurface of the EVOH cover system?
17 A No, those were all covered under the
18 geomembrane.
19 Q You couldn't tell from the surface that
20 they were there?
21 A No.
22 Q You haven't seen aerial photos where you
23 saw all lines where the channel exists?
24 A They weren't distinct on the photos.
25 The lines I saw on the photographs I

♀

1 interpreted them as gas wells or sorry gas
2 headers that appeared to be above the
3 geomembrane.

4 Q Above?

5 A Yeah, like the black, you know, the lines
6 you could see in their photos. I did not
7 see anything or while I was on the site
8 tour there that would suggest there was
9 anything under that membrane.

10 Q So if you wanted to find out if what I'm
11 telling you is right or wrong and the
12 predicate for my question that I'm telling
13 you is that there is a complete engineered
14 system set up under the EVOH cover?

15 A Yes, sir.

16 Q That provides a preferential route for gas
17 and leachate to go so that neither of them
18 infiltrates the waste mass at all. The
19 way you would check to see if that's right
20 or wrong you would look at the EVOH cover
21 system and you would look at the as-builts
22 showing how it was, in fact, constructed?

23 A Yes, sir.

24 Q And you haven't looked at any of those?

25 A No, sir.

♀

- 1 Q And do you know whether or not they are
2 part of the information that was shared
3 with you by the Attorney General's office?
- 4 A I did not see them, but I cannot -- I
5 suspect that they would have been shared
6 with me. I do have recollections of --
7 I'm trying to think if I do actually.
8 Yeah, I did not. I reviewed the gas
9 collection design of the bridge, but I did
10 not review the design of the EVOH cover.
11 I did not encounter that information.
- 12 Q So either they weren't given to you or
13 they were given to you Bud you didn't get
14 to them?
- 15 A Yes, sir, as I said I had megabytes of una
16 number of files and I did my best to go
17 through as much as I could, but I didn't
18 get to those ones.
- 19 Q But you understand that what we're doing
20 here is serious business?
- 21 A Absolutely.
- 22 Q And that it requires a detailed
23 understanding of all the facts, true?
- 24 A Absolutely.
- 25 Q Now, if you assume that under the EVOH

1 cover there is an engineered system of
2 preferential extraction of landfill gas or
3 air that could come in through an opening
4 that collects it, keeps it out of the
5 waste mass, sends it to the flare and
6 destructs it, then that would obviate your
7 worry that a defect in the EVOH cover
8 could cause air infiltration into the
9 waste mass?

10 A Yes, sir as long as that system is
11 maintained fully at all times. Otherwise
12 then it serves as a pathway for oxygen to
13 get into some of the wells.

14 Q And one of the things that some day I hope
15 in this case will get to is what do people
16 want us to do that we're not doing because
17 my client for better or worse is is doing
18 a lot and you agree with that much, don't
19 you?

20 A Yes, sir. I definitely agree with that.

21 Q And so if we asked you help us look at our
22 plants and make sure that we have
23 provisions procedures, checkoffs,
24 cross-checks that enable us to solve the
25 worries that you've identified and one of

♀

1 the worries that you've identified is that
2 it's important that any engineered
3 collection system under the EVOH liner be
4 kept in it good repair, be kept under
5 proper vacuum, be inspected and printed
6 periodically and that EVOH cover defects
7 be repaired with reasonable dispatch?

8 A Yes, sir.

9 Q Is that sort of the set of conditions you
10 would like to see in our operations and
11 maintenance plan?

12 A And they may well be there already.

13 Q Understand. Understood?

14 A Yes, sir.

15 Q Understood but what I want to make sure I
16 understand because there's always the
17 possibility that at a trial a judge would
18 hear your testimony and say okay I think
19 that's an important thing I want to make
20 sure it's included.

21 A Yes.

22 Q And I want to make sure I understand what
23 it is because quite frankly if it you've
24 got good ideas that haven't occurred to
25 the 150 consultants I'm already employing,

♀

1 I would like to involve them. I would
2 like to include them.

3 So is there anything else you want
4 me to say in that portion of my operation
5 and maintenance plan directed to that
6 specific issue than what I just captured?

7 A In terms of just what we discussed, that
8 when I was on site I basically saw, you
9 know, some very aggressive vacuum
10 underneath the cover and the liner was
11 just sucking right into depression so it
12 showed me good vacuum which would
13 potentially suggest that that subsurface
14 is working in those areas whereas when we
15 see those big bubbles developing under the
16 liner that would suggest to me that that
17 system in that area is not working
18 effectively because there should be
19 negative pressures, so flag that.

20 Q I hear you. And so let me ask how you as
21 a person who does a person who describes
22 landfill operational procedures that you
23 consider to be safe would say that, would
24 it be appropriate for there to be a
25 requirement of a walk-around I'm going to

♀

1 let that siren pass.

2 A Yeah.

3 Q would it be appropriate to say that there
4 must be a walk-around visual inspection of
5 the entire EVOH cover system to identify
6 tears and billowing that those would then
7 be required to produce an exception
8 report, not only internally for the
9 landfill operating record but also
10 reported to the Department of Natural
11 Resources as our regulator and that there
12 would be a requirement to expeditiously
13 seek repair of those exceptions. Is that
14 a reasonable way to write it up?

15 A Absolutely and in terms of the frequency,
16 I would defer to the on site staff because
17 my impression was that the landfill
18 especially in the reacting area is very
19 dynamic, you know, rapid settlement and
20 the guys are basically adjusting boots
21 almost daily. There's six people making
22 those adjustments so it's a very
23 challenging job and how frequent that
24 inspection needs to be undertaken is
25 something I'm not sure what the right, you

1 know, frequency is.

2 Q Is it fair to say that the typical
3 staffing for a closed landfill for the
4 size of Bridgeton which isn't having a
5 Bridgeton event occurring is less than one
6 full-time equivalent?

7 MS. WHIPPLE: Objection to form. Assumes facts
8 not in evidence. Closed?

9 MR. BECK: What?

10 MS. WHIPPLE: I'm objecting to the word "closed".

11 MR. BECK: Okay. Well, let me repair the
12 objection.

13 Q Do you understand that Bridgeton hasn't
14 taken waste for the last ten years?

15 A Yes, sir. I believe the last date was
16 December 31st 2004 the last waste came in.

17 Q And as a term of art among professionals,
18 isn't that what's referred to as being
19 closed?

20 MS. WHIPPLE: Objection. And contrary to the
21 law. Closed is a legal term.

22 MR. BECK: You don't get to tell the witness what
23 to say.

24 [indiscernible - simultaneous speaking]

25 MR. BECK: Now, we're going to get on the phone

1 with the special master if you continue to
2 make speaking objections that tell the
3 witness what to say.

4 MS. WHIPPLE: My objection is what it is.

5 MR. BECK: Make it and then stop.

6 Q Dr. Sperling, isn't what I said true?

7 A I'll just clarify just a mediator on these
8 things from what I understand there's two
9 different types of closures and what we're
10 talking about the landfill did not receive
11 waste and yes, after landfill stop
12 receiving waste that generally the number
13 of people on them is significantly
14 downsized. I would say that in our
15 experience in British Columbia as I
16 mentioned where I do most of my work there
17 are only a limited number of large
18 landfills and all of those landfills are
19 still in operation certainly the smaller
20 sites have less than one people allocated
21 to oversee them.

22 Q And 52 acres that would be a smaller site?

23 A No, no, in this our mind that would be a
24 medium to larger site like I say. British
25 Columbia only has three landfills that

1 receives the same sort of tonnage, but for
2 sure landfills that are not operating
3 anymore would have a much smaller
4 consignment of staff and the number of
5 staff at Bridgeton is definitely much
6 larger than the norm.

7 Q It is orders of magnitude larger than the
8 normal, isn't it?

9 A Yes, sir.

10 Q And for the typical post-closure care of a
11 landfill which involves monitoring
12 different media like groundwater,
13 operating big gas system if you have one
14 making sure the cover remains in decent
15 repair, inspection, reporting, for
16 whatever is the regulatory period, that's
17 a relatively inexpensive proposition for a
18 closed municipal solid waste sanitary
19 landfill in the absence of some
20 extraordinary event, isn't that true?

21 A Yes, I would estimate it in the range of
22 50 to \$100,000 a year, something in that
23 ballpark probably would be reasonable.

24 Q And spending hundreds of millions on a
25 landfill with no revenue is an

♀

1 extraordinary resource commitment, isn't
2 that true?

3 A I would say that's a significant financial
4 pressure on the owner of the company, yes.

5 Q And it's evidence of a company stepping up
6 to do the right thing in response to a
7 problem, isn't that fair?

8 A On that I'm not sure, from the impressions
9 that I've had is that a lot of the steps
10 that were taken were driven by orders by
11 the Attorney General rather than the
12 company stepping up.

13 Q And isn't it true that few than one half
14 of one percent of all the steps taken at
15 the landfill came as a result of orders --
16 by the way the Attorney General can't
17 order things in our system. The Attorney
18 General can ask a Court to.

19 Do you know that the only thing the
20 Attorney General ever asked the Court to
21 order was an increase in carbon monoxide
22 monitoring?

23 MS. WHIPPLE: Objection. Form. States facts not
24 in evidence.

25 MR. BECK:

♀

1 Q Go ahead. The?
2 A From my review of some of the orders and I
3 skimmed then there seemed to be multiple
4 steps, but.
5 Q Maybe you're misunderstanding something.
6 I know what you're saying. You reviewed
7 the preliminary injunction?
8 A Yes, sir.
9 Q You didn't think that was something
10 someone had to order, did you?
11 A I basically interpret it as an agreed
12 order to do something that basically was
13 driven by the regulators requesting that
14 be done.
15 Q Why? It says agreed. It says the word
16 Agreed "at the top in the heading so why
17 did you assume that it wasn't agreed?
18 A In the -- to me I'm not a lawyer or anyone
19 very knowledgeable in the legal system. I
20 interpreted the word "order" is usually
21 when one party says you have to do
22 something to another party and that's
23 basically where I interpret it as being
24 something that one party is ordering the
25 other party to do and maybe if I

1 misunderstand that that's what would I
2 interpret it as.

3 Q Have you ever heard of an administrative
4 order on consent?

5 A I've heard of an administrative order,
6 but.

7 Q Not on consent?

8 A I'm not knowledgeable about these
9 regulatory processes and they're quite
10 different --

11 Q Perhaps and I realize today I'm in your
12 country Canada for this lawsuit you're in
13 my country, the United States.

14 A Yes, sir.

15 Q Did you not know that the vast majority of
16 environmental remedial work in the United
17 States, the vast supermajority of
18 environmental remedial work in the United
19 States is done pursuant to agreements, but
20 in order to give those agreements power,
21 the agreements are expressed as agreed
22 orders, either administratively or
23 judicially?

24 A I did not know that.

25 Q And so because, for example, the

1 preliminary injunction said that it was a
2 Court Order which it is and despite the
3 fact that it said Agreed at the top you
4 assumed that those were requirements that
5 were imposed upon rather than voluntarily
6 assumed by Bridgeton Landfill?

7 A Yes, sir.

8 Q Now, did you ask the Attorney General's
9 office if that was true or false?

10 A No, sir, I just interpreted that. I was
11 more focused on the technical aspects of
12 the work.

13 Q well, let me ask you to hypothetically
14 reposition your thinking about it and go
15 back to my question.

16 I would like you to assume that the
17 Attorney General of Missouri, Mr. Koster
18 announced that he was filing a litigation,
19 that the response of the company to his
20 announcement on the day of his
21 announcement was we welcome the Attorney
22 General's involvement we look forward to
23 working with the Attorney General to set
24 down an agreed set of things to be done
25 and make those two assumptions. Add the

♀

1 assumption that over the next several
2 weeks the landfills representative one of
3 whom is asking you questions right now
4 very digitally sat down with the Attorney
5 General to work out the terms of that
6 injunction and without any involvement by
7 the judge in saying you must do this or
8 you should do that, that there was a
9 complete agreement reached between the
10 Attorney General's office and
11 representatives of the landfill and that
12 that is embodied in had the preliminary
13 injunction. I would like you to assume
14 all that.

15 If you assume all of that and that
16 it was purely an agreement and a
17 constructive response to the Attorney
18 General becoming involved, would that
19 cause you to believe that the landfill was
20 trying to do the right thing?

21 A Yes, sir.

22 Q In response to an order?

23 A Yes.

24 Q Now, one of the things I've got to talk to
25 you about is the question of a barrier in

♀

1 the neck of the quarry, a physical barrier
2 in the neck of the quarry and let me see
3 if this fairly captures what your report
4 tells us about that in simple terms.

5 First of all you didn't advocate
6 that someone dig out garbage and construct
7 a barrier in the neck of the quarry now.

8 Secondly, you believed that it's not
9 possible for the reaction to take place
10 below the water table and, therefore, felt
11 that a barrier keyed into the top of the
12 water table would be sufficient to prevent
13 the reaction from moving to the North
14 Quarry so long as the be water level was
15 maintained?

16 A Yes, sir.

17 Q And, third, as a result you suggested that
18 the difficulty cost at risk of putting in
19 that barrier might have been overstated
20 historically. Is that a fair summary?

21 A Correct and the magnitude of the work that
22 would be required with a shallow barrier,
23 yes, sir.

24 Q And what you've suggested which is one
25 might have considered a barrier just down

♀

1 to the water table and a few feet in,
2 keyed in and that could be done with less
3 excavation, a narrower excavation, less
4 exposure of trash, less odor, less bird
5 risk we find out yesterday less all the
6 things that go with it. Your position was
7 that that might have been a way to go?

8 A Potentially, yes, sir.

9 Q Okay. Did nobody from the Attorney
10 General's office tell you why that notion
11 was rejected?

12 MS. WHIPPLE: Objection. Assumes facts not in
13 evidence.

14 MR. BECK: I'll depose Joe. I'm going to depose
15 Leanne.

16 THE WITNESS:

17 A what I heard /C with respect to -- yeah, I
18 had no discussions about putting the
19 barrier down just to the water table. we
20 had no discussion on that.

21 MR. BECK:

22 Q Had you seen the initial drafts of the
23 preliminary injunction that were submitted
24 by the Attorney General's office
25 expressing sort of everything they would

♀

1 like to have for discussion purposes that
2 were given to the landfill as the earliest
3 part of the negotiations for the
4 preliminary injunction?
5 A I saw a lot of documents that was in the
6 process, but I don't have a recollection.
7 Q What I'm referring to would be a full
8 draft of the whole preliminary injunction
9 but in an earlier iteration so it
10 contained things that weren't ultimately
11 negotiated?
12 A Yeah, I don't have a recollection seeing
13 that.
14 Q Have you ever seen an earlier draft of the
15 preliminary injunction that actually
16 called for the construction of a physical
17 barrier in the neck?
18 A Not to my knowledge.
19 Q On the day that the injunction was agreed
20 to in principle, the finish of the oral
21 negotiations leading up to some just some
22 wordsmithing in the document --
23 A M'hmm.
24 Q -- has anyone described to you what
25 happened that day?

♀

1 A No, sir.
2 Q Did you know that the final negotiation of
3 the terms of the preliminary injunction
4 occurred in a conference room at the
5 Attorney General's office in Jefferson
6 city?
7 A No, sir.
8 Q Did you know that the lawyers from the
9 Attorney General's office who were
10 conducting that negotiation were Joe
11 /PWAO*EURPBD spelling phonetic) and
12 Jessica Boyle (phonetic)?
13 A No, sir.
14 Q Did you know that the representative of
15 the Missouri Department of Natural
16 Resources who was present for that
17 negotiation was Leanne /T*EUPT Nosely
18 (phonetic)?
19 A No, sir.
20 Q Have you met her?
21 A Not that I'm aware.
22 Q Have you met Mr. /PWAO*EUPBD? Need
23 spelling
24 A I met I believe I'm trying to think from
25 MDNR.

♀

1 Q He's from the AG?

2 A No, the only people I believe I've
3 interacted with are the people that came
4 on the site visit while I was in this St.
5 Louis.

6 Q Have you been told by the Attorney
7 General's office or have you otherwise
8 come to know that during those final
9 negotiations the question of whether there
10 should be a physical barrier constructed
11 in the neck was probably the most
12 important lengthy and complex topic
13 negotiated?

14 A No, sir.

15 Q Has anyone informed you that after a
16 discussion of the technical merits and
17 disadvantages of constructing a physical
18 barrier in the neck the decision was made
19 by Joe /PW*EPBD of the Attorney General's
20 office and expressed as we agree it would
21 be crazy to build this. Has anyone told
22 you that that's how the negotiation
23 actually came to fruition?

24 A No, sir.

25 MS. WHIPPLE: Assumes objection assumes facts not

♀

1 in evidence.

2 MR. BECK:

3 Q Has anyone told you had that in exchange
4 for the Attorney General's office
5 recognizing the problems with trying to
6 construct a physical barrier in the neck
7 the landfill responded in negotiation by
8 them providing a housing program that cost
9 hundreds of thousands of dollars during
10 the RCP abandonment and the voluntary
11 payment of \$900,000 in Missouri Department
12 of Natural Resources oversight and testing
13 costs as our response to what it saw as
14 the constructive step of not doing
15 something that was so technically
16 problematic?

17 MS. WHIPPLE: Objection. Assumes facts not in
18 evidence.

19 MR. BECK:

20 A No, sir.

21 MR. BECK:

22 Q And so just to be very, very clear about
23 it, even after you've provided the
24 Attorney General's office your report
25 which expressed skepticism about whether

♀

1 the degree of difficulty of building a
2 previously building an isolation barrier
3 at the neck of a quarry even after you
4 told them that to you it seemed like the
5 difficulty was being overstated, no one
6 from the Attorney General's office told
7 you that it was their decision not to
8 build that barrier?

9 MS. WHIPPLE: Objection. Assumes facts not in
10 evidence.

11 THE WITNESS:

12 A No, sir.

13 MR. BECK: Let's go ahead and change the tape.
14 And why don't we take a break.

15 THE VIDEOGRAPHER: Going off the record. This is
16 the end of media unit number one. The
17 time is 11:13 a.m.

18 (PROCEEDINGS RECESSED AT A.M.)

19 (PROCEEDINGS RESUMED AT A.M.) test test

20 THE VIDEOGRAPHER: We're back on the record. Here
21 begins media Unit Number 2 Volume 2 the
22 deposition of Tony Sperling. The time is
23 11:26.

24 MR. BECK:

25 Q Dr. Sperling, after the break are you

1 ready to proceed?

2 A Yes, sir. That was a nice de-stressor. I
3 appreciated it.

4 Q It is an artifact of the video taping that
5 we all get a break now and again.

6 A Yeah.

7 Q So we just spoke before the break about
8 the question of the degree of difficulty
9 in constructing a physical barrier at the
10 neck of the quarry. Now I would like to
11 move the other way and talk about the
12 possibility that EPA has under advisement
13 of building either a thermal or a physical
14 barrier closer to the westlake landfill
15 superfund portion that has low level
16 radiologically impacted material.

17 If you're right and if all you need
18 to do to stop the reaction from migrating
19 is build a barrier down to the water table
20 and key into it a few feet and keep track
21 of your water levels, then that is a
22 substantially smaller construction job,
23 true?

24 A Yes, sir and particularly, if I may expand
25 on that.

♀

1 Q You may.

2 A On the barrier between the OU-1 and the
3 North Quarry, I feel it's a much more
4 tenable place to construct a barrier as
5 well and that's what I flagged in my
6 report in terms of recommendations to
7 essentially focus in that area.

8 Q Understood. Did you consider that what
9 you were making was a recommendation to
10 EPA?

11 A No, sir, I did not consider it as such. I
12 felt, as I mentioned yesterday, that I
13 feel there are two predominant risks of if
14 this reaction were to grow into the North
15 Quarry one would be the environmental
16 issue of the reaction in in the quarry and
17 the other would be the approach of the
18 radiological waste and certainly the
19 second one I feel is much easier to handle
20 at that OU-1 boundary as to whose
21 jurisdiction is is something I have no
22 knowledge of and I'm a technically focused
23 guy. I'm purely on engineering matters.

24 Q The relative ease of handling some kind of
25 barrier system, whether it's physical or

♀

1 thermal, next to the low level
2 radiologically impacted waste is driven by
3 the geometry base of the quarry?
4 A Essentially the depth of the waste that's
5 present.
6 Q And if you look at exhibit -- what exhibit
7 is this picture?
8 A 2.
9 Q The plain view?
10 A Where is mine hiding.
11 Q It's Exhibit 5?
12 A Yes.
13 Q And if you look at this inset where
14 there's a three-dimensional CAD depiction
15 of the quarry prior to landfill filling
16 you actually picked that up as part of
17 your drawing in your report?
18 A Yes, and I suggest that the section down
19 who is much more clearer to representation
20 and that's where I saw right at the I
21 guess it would be north end of the of the
22 New York the separation between OU-1 and
23 North Quarry the depth of the waste mass
24 there appears to be in the order of 50,
25 maybe 60 feet which is sort of 20 metres.

1 To me it's not a very substantive depth
2 comparative to the hundreds of feet in the
3 neck.

4 Q Right. And so one reason that you saw
5 that as a relatively easier project is it
6 didn't go as deep?

7 A Yes, purely the volume of material,
8 whether it's concreted or excavated or
9 whatever would just be, you know, again
10 order of magnitude less.

11 Q By the way have you ever tried to build a
12 concrete wall in garbage in a landfill?

13 A No, I've constructed numerous fire breaks
14 and in terms of concrete I probably
15 wouldn't go there. The way I saw that if
16 I had to do something like that I would do
17 probably a controlled excavation with lots
18 of dirt.

19 Q Short of sheet piling and pouring concrete
20 between the sheet piling, there's really
21 not much way to build a solid wall in the
22 sort of Jello that is the landfill
23 contents?

24 A Yeah, or some other augering method or
25 whatever vertical solid wall would be a

1 challenge.

2 Q But what you would say as potentially
3 preferable would be a V-shaped excavation
4 filled in with an inert material like
5 dirt?

6 A That's been my experience. I've had a
7 project at Vancouver landfill where we had
8 a fire and had to basically try and
9 isolate that down to -- I think it was on
10 order of 17 metres but I may be incorrect
11 on that number.

12 Q The low ground surface?

13 A Yes, sir.

14 Q Okay.

15 A We actually came up with a very creative
16 solution to that and that initially I
17 designed exactly what you envision kind of
18 a V-shape right down to the bottom of the
19 excavation.

20 Q Okay.

21 A And then subsequently came up with the
22 idea of actually cutting out a V only
23 about half depth and then using a long
24 reach excavator to excavate a key which is
25 maybe in the order of 5 or 6 feet wide and

1 then basically filling that with dirt and
2 that reduced the volumes (phonetic)
3 (check) in half, that's the approach that
4 potentially I would, you know, envision,
5 although, like you said, the liquid sloppy
6 nature of this material, I -- I've never
7 worked with the waste mass at Bridgeton in
8 my experience when you excavate into
9 landfills that typically the wall in
10 shallow excavation end up standing
11 vertical and don't flow in had or cave in
12 so I have no experience as to how the
13 waste at Bridgeton behaves. I would
14 expect there's a good chance it might do
15 the same thing.

16 Q Sure. Every time we start staring at a
17 picture I have a question coming from the
18 picture so let me ask you a question
19 coming from Exhibit 5 and particularly the
20 portion of it that is salmon colored and
21 contains the profile view of the base of
22 the landfill quarry.

23 Do you know that no one has ever
24 detected the reaction below a certain
25 depth or very close to the limestone floor

♀

1 of the South Quarry?

2 A Yes, sir, from the temperature profiles
3 there seems to be a very abrupt break in
4 the temperature profile and sort of deeper
5 down the waste mass seems to be much
6 cooler and I've always inferred that's the
7 position of the natural water table.

8 Q As opposed to leachate?

9 A In terms of the two in my mind are
10 synonymous like the leachate level.

11 Q well, if you happen to be completely wrong
12 about the question of whether the reaction
13 can occur under water, have you considered
14 any alternative reasons why the heat
15 generation of the reaction would be
16 retarded when it gets closer to the
17 limestone floor of the quarry?

18 A I would speculate that basically the
19 limestone is a heat typically is is at a
20 certain temperature and probably has a
21 different thermal mass like we see that in
22 landfills like the surface is cold the
23 bottom is cold and then inside is warmed
24 up and I would anticipate that the cooling
25 elements of that would tend to just keep

1 the temperature lower and there may be
2 other reasons. From a chemical
3 perspective I don't see anything, but I am
4 again not an expert on chemistry.

5 Q Right, but you understand the thermal
6 concept of a heat sync (phonetic)?

7 A Yes.

8 Q And that's what you're talking about?

9 A Yes.

10 Q And likewise, have you noticed there seems
11 to be a certain space maintained between
12 the nearest part of the reaction and any
13 wall of the quarry?

14 As the reaction has migrated south,
15 it really hasn't come up against a wall,
16 have you noticed that?

17 A Yes, and I felt that was essentially a
18 three-dimensional aspect that also even
19 though you have the wall you also have the
20 landfill side slope and which results in a
21 more shallower waste mass so I felt that
22 those two things were probably -- again,
23 the surface cooling, you know, from the
24 waste mass at surface.

25 Q I'm going to cover the surface third, but

♀

1 for the second part which is near the
2 quarry walls are you saying that the above
3 ground slope of the landfill bears in some
4 way on why the reaction wouldn't come
5 close to a quarry wall as it migrates to
6 the south?

7 A Yes, in my mind what I was looking at like
8 going back to that temperature profile of
9 well 7R and we could -- let's just take
10 one quick look at it, if I could refresh
11 my --

12 Q That would be fine. It's in your report
13 as one of the --
14 [indiscernible - simultaneous speaking]

15 A Figure 2 something. 2-10 on page.

16 MS. WHIPPLE: 21.

17 A Figure 210 so I'm looking at that figure
18 and I see essentially the first 45 feet
19 because I believe ground surface here is
20 at 405 or sorry, 505 and the high
21 temperatures really start at 565 so
22 there's a 40-foot soft zone of cooling
23 which I infer as as surface effects and so
24 I would definitely expect that at the toe
25 or at the quarry wall the ground interface

♀

1 is at, you know, at the ground level so
2 instead of being at 100 feet up in the
3 air, so I would expect that that reaction
4 would be pushed, you know, another 40 feet
5 down below ground level which would be
6 down somewhere in the 400 foot range
7 elevation and so the zone reaction is much
8 that will shallower and I had not
9 contemplated if there are any sort of
10 benefits from the side wall from the mass.
11 Q wouldn't it the same sort of heat sync
12 creating properties exist along the side
13 walls perhaps not as efficiently producing
14 not as much protection but there would be
15 some?
16 A I would suspect that there would be some,
17 yes.
18 Q And so what you're looking at here in
19 Figure 2-10 of your report Exhibit 1 which
20 is the graph of TMP 7R over time shows us
21 that essentially the reaction stayed out
22 of the first 40 feet of the waste column.
23 It occurred most importantly in the next
24 100 feet of the waste column down to a
25 below ground surface of 140 feet and then

1 it trails off and goes away in the bottom
2 100 feet of the waste column. Is that
3 right?

4 A Yes, sir, and the important point that I
5 want to stress here in that is that this
6 continuity between 140 and 160 feet depth
7 and my explanation for it is I believe
8 that at the time that this is essentially
9 the transition between the gaseous and the
10 liquid phase of water and that has the
11 greatest effect on that, you know, cooling
12 process more so than the bottom of the
13 quarry. That's my interpretation.

14 Q Well, your assumption was that this means
15 that the water table is around 350?

16 A Correct.

17 Q Because that's where the temperature break
18 occurred?

19 A Yes, that's what I was assuming.

20 Q And if, in fact, the water table is up
21 around well, let's say above 420, so I
22 don't need to pick a number between say
23 420 and 460 to make the point, if it's
24 above 420 then it's different than you
25 conceived of it?

1 A In principle, yes, sir. What you
2 presented to me in one of the earlier, one
3 of the exhibits you gave me sort of a
4 measure of the GIW water levels.

5 Q Yes, sir.

6 A I believe it was at the time that those
7 things were commissioned that suggested
8 that the water levels were somewhere in
9 the area of 30, 40 feet.

10 Q It's actually different than that. The
11 exhibit I showed you which is Exhibit 7
12 reflects water level measurements that
13 were taken on June, 2015, so it was years
14 after the GIWs were commissioned.

15 A I apologize for that. I misinterpreted
16 that data, having only had a chance to
17 skim it.

18 Q It's got a collection date column on that
19 table and the collection date for each
20 water level measurement is June 15, 2015,
21 do you see that?

22 A Yes, I didn't see that at the time.

23 Q And if you look at the ground surface
24 being around 500, then the effect is that
25 the water level measurement is really more

♀

1 like it's at the top of the TMP
2 temperature graph, so up in had the say
3 460 to 500 range, right?
4 A Yeah, something here isn't making sense to
5 me. May I just ask to clarify?
6 Q I don't know if I can clarify everything
7 you want to know.
8 A So basically the way I understand it, the
9 GIWs are very critical components of the
10 overall infrastructure that's operating it
11 and is our primary line of defence gas
12 migration into the North Quarry is the way
13 I'm interpreting it.
14 Q That may be the Attorney General's
15 characterization.
16 A And my impression was that those wells
17 were deeper, you know, targeting the
18 entire area of the reaction and are
19 intercepting all this gas that's being by
20 the reaction are being pumped aggressively
21 to intercept it all and I just have a hard
22 time believing that they only go 30 feet
23 below the ground surface.
24 Q Do you know what's inside the GIWs right
25 now?

1 A I would expect it's a gas interceptor well
2 that's pumping a lot of gas and that it
3 also has those blackhawk (phonetic) pumps
4 to pump out water and may make it
5 effective at intercepting -- intercepting
6 gas, but that's my assumption but I have
7 not seen or reviewed the design of those
8 GIWs.

9 Q Do you know under the pilot study where
10 the cooling loop is?

11 A Yes, sir, I believe it's in some of the
12 more -- it's definitely in the neck and I
13 don't know what exactly in which wells
14 it's been installed.

15 Q Did you think they had simply converted
16 some gas extraction wells to a cooling
17 loop?

18 A That was my understanding that they added
19 the cooling loop to some existing wells.

20 Q But was it your understanding that they
21 were gas extracting wells or gas
22 interceptor wells?

23 A To me, my understanding was that the G GEW
24 and the GIWs were in essence synonymous
25 except that those were specifically

♀

1 targeted as extraction wells so intercept
2 gas and specifically set up close to
3 aggressively capture the gas and that's
4 why they were called that, so if I'm not
5 fully understanding it, that was my
6 understanding.

7 Q well, let's get away for a moment from
8 theoretical questions we have and just
9 talk about the question I'm trying to get
10 at with --

11 A Yes.

12 Q -- your Figure 2-10 in your Exhibit 1
13 which is the temperature graphs for
14 temperature monitoring probe 7R and I want
15 to go back to the question I had. You
16 know you had kindly pointed out to me the
17 significance to you is of the depth
18 interval between 140 and 160 feet below
19 ground surface, but I want to get to a
20 much simpler proposition than where the
21 water is.

22 A M'hmm.

23 Q And that is where the temperature is, not
24 why but just where. And what we can see
25 is sort of the bottom 100 feet of the

♀

1 waste are not affected by the reaction?

2 A Correct.

3 Q The top 40 feet or so of the waste are not
4 affected by the reaction?

5 A Correct.

6 Q And it is in the depth interval between
7 360 elevation and 460 elevation that we
8 see the principal effect of the reaction?

9 A Correct.

10 Q And the reason I say that is now let's go
11 back to 5 which is the map and let's go
12 back to the same profile view at the
13 bottom along cross-section AA Prime and I
14 just want to talk to the geometry of the
15 bottom of the quarry for a moment and just
16 before I go there we've talked about the
17 heat sync at the bottom the potential heat
18 sync at the sides.

19 what is the effect at the top that
20 keeps the reaction 40 feet below ground
21 surface? what is the cooling principle or
22 the thermal dynamic principle or just the
23 physical phenomenon that explains why this
24 is a subsurface reaction and not closer to
25 the surface?

1 A In terms of the mechanisms that are
2 driving the reaction, I believe it's
3 something that is temperature controlled
4 and if temperatures get sufficiently cool,
5 there's just not enough heat to try the
6 pyrolysis process or the subsequent
7 reactions to occur.

8 Q Sure. And so we all know that it's not
9 140 degrees in the ambient air. That has
10 an impact that has an effect it has
11 relative to the heat of a reaction it has
12 a cooling effect in the top of the waste
13 column, right?

14 A Yes, sir.

15 Q And we all know that limestone can get
16 cold and limestone certainly doesn't get
17 160 degrees and so just the massive amount
18 of rock around the sides and bottom of the
19 quarry help provide a way to contain the
20 reaction sort of middling in the
21 subsurface and that would occur even if
22 heaven forbid at some time in the future
23 the reaction were to cross through the
24 neck and start proceeding in the North
25 Quarry you would still expect to see those

1 temperature controlling physical phenomena
2 play, right?

3 A Yes, sir.

4 Q And so now that we've established that, so
5 let's say hypothetically the reaction is
6 moving in the North Quarry. It is not a
7 thermal chemical phenomenon. Now it's
8 animate. Now it has intentions how it has
9 a brain. It has a desire to go eat some
10 radioactive material as fast as it
11 possibly can and so it is on a bee line
12 directly for the rads at whatever maximum
13 speed it could travel and it's so single-
14 minded there's nothing else in this life
15 that it wants than to get to the rad /(
16 material.

17 Do you see the first quarry step
18 which is at approximately elevation 320
19 over in the North Quarry around where TMP
20 16 and 17 and 18 are located?

21 A Yes, I do.

22 Q And help me appreciate the importance of
23 that step for a moment.

24 Does the step change the shape of
25 the reaction to essentially a smaller

♀

1 depth because the heat sync moves up so
2 that you still have the heat sync
3 mechanisms of the quarry side walls and a
4 higher heat sync mechanism of the quarry
5 bottom and a heat reducing mechanism of
6 the top of the waste column and so
7 essentially the reaction still could be
8 quite thick in terms of depth but it's
9 probably thinner than before it reaches
10 that step?

11 A Yes, I see that there would potentially be
12 some thinning to it. In my mind, though,
13 still I believe that the capacity of water
14 in the face change is the dominant process
15 that controls the -- the cooling effect on
16 the bottom of this reaction. And I'm not
17 sure without doing some additional
18 analysis what that profile would look
19 like, you know, because I think the water
20 table will have a significant effect there
21 which may actually be very favourable
22 because I believe the water table is very
23 high in the North Quarry.

24 Q In fact you're giving me a gift?

25 A Yes.

1 Q And the gift is that because the water
2 table in the North Quarry is on a static
3 basis, on a continuous basis well above
4 480, the chances of the reaction migrating
5 through the water table in the North
6 Quarry are extraordinarily low full stop
7 and the only thing that could change that
8 is a dramatic decrease in the water level
9 in the North Quarry in your opinion?

10 A Yes, sir, if you buy my interpretation
11 that the reaction is affected by water
12 table then that would be true and that's
13 why I recommended that, you know, that the
14 team carefully re-evaluate aggressive
15 de-watering of the gas wells to pull down
16 the water table and make the gas wells
17 more effective.

18 Q And by team in that instance I want to
19 make sure what you're talking about isn't
20 just the team at Bridgeton Landfill.
21 You're talking about the team of all the
22 people who are responsible for the
23 condition of Bridgeton which includes the
24 myriads Department of Natural Resources?

25 A Yes, I would say see in my mind it I came

1 across a description of team Bridgeton
2 brought in all experts working together
3 which I think in my mind the most
4 effective way of trying to solve these
5 problems.

6 Q So let me step back and get that point
7 straight because I think it's a really
8 important point to put in the record.

9 In your experience based on decades
10 of experience and the interaction between
11 regulated parties and regulators, the best
12 thing to do is to get the people to need
13 to make and force and monitor decisions
14 together in a room, that you can things
15 through, agree on the best course of
16 action, implement it expeditiously and
17 force it rigorously and just do our best
18 collectively to solve the problem?

19 A That has been my life experience, yes,
20 sir.

21 Q And isn't it exactly the opposite of that
22 to file lawsuits, parade scores of expert
23 witnesses in front of a judge or jurors
24 and let people who are seeing the problem
25 for the first time and only for a period

1 of weeks make fundamental decisions that
2 could change the way that thoughtful
3 people have chosen to approach a problem
4 for years. Isn't that the opposite?

5 A On that, I feel I have insufficient
6 information to render an opinion.

7 Q Well, it's a very different model, will
8 you give me that much. One model is
9 regulators and regulated parties sit down
10 and talk and try to understand each other
11 and accept the fact that they both want
12 the same thing and share science ideas and
13 come to conclusions and when they can't
14 agree the regularity makes the final
15 decision and that's it. That's one model.

16 Another model is people who barely
17 speak to each other, throw things at each
18 other in Court and then they take turns
19 calling people to say their point of view
20 in front of someone who then has to make a
21 decision between the competing points of
22 view and nothing is collaborative that is
23 a very different model, right?

24 A Yes, sir, and I had a very similar
25 conversation with Ms. Whipple and my

1 impression was she shared exactly that a
2 collaborative approach where everybody
3 worked together to solve the problem is
4 definitely in the best interests of
5 everybody.

6 Q And if that's true, do you have the
7 slightest idea why the Attorney General of
8 Missouri absolutely refuses to sit down
9 and talk to try to how to resolve this
10 case?

11 A Again, I'm not able to comment on that at
12 all because I'm not involved in that
13 process.

14 Q Can you think of any reason not involving
15 headlines that sitting down and trying to
16 work out what is the best answer for
17 Bridgeton Landfill among people of good
18 intention and solid scientific background
19 isn't the right way to go?

20 MS. WHIPPLE: Objection. Assumes facts not in
21 evidence.

22 THE WITNESS:

23 A Yeah, I think I would prefer to not
24 comment.

25 MR. BECK: I'm going to withdraw the question.

1 It's not fair to ask you in the appreciate
2 that you're in.

3 [Indiscernible - simultaneous speaking]

4 A Yes, I appreciate that.

5 Q It is fair for me to ask the trier of
6 fact.

7 In your country, is there some
8 system where the way that we make
9 decisions about how to solve environmental
10 problems associated with landfills is we
11 go to Court and fight?

12 A I think it's generally a last resort.
13 Just looking at my experience, there are
14 two, you know, on fire projects there are
15 two things that sort of render an
16 approach. One is the financial resources
17 to actually do the work that's necessary
18 and then the willingness of the owner to
19 actually execute it. And so I've only my
20 experience has been involved in one, well,
21 actually two regulatory driven actions
22 where the government actually took over
23 the project because the private owners,
24 you know, weren't stepping up to the plate
25 and I think in that aspect that that's

1 when the regulatory process is necessary
2 to protect the public and so, you know,
3 I'm not able to judge whether your company
4 is stepping up to the plate or not. But I
5 think that's where the fundamental
6 question is.

7 Q well, let me ask you this: Have you ever
8 heard of any private company stepping up
9 to the plate to the tune of 170 million
10 dollars for a landfill remediation project
11 before?

12 A That's sort of a difficult question to
13 answer.

14 Q It's not. You either have or haven't
15 heard of that?

16 A I think it requires qualification because
17 I've never heard of it but I've never
18 encountered the problem of magnitude of
19 environmental impacts that have been sort
20 of occurring on this project.

21 Q To be fair about it, though, you recognize
22 that to my company which has a my company
23 Republic Services which has a subsidiary
24 called Bridgeton Landfill that's something
25 that happened to us, too. It was a costly

♀

1 position it was a problem, it was a set of
2 worries. It was a set of litigations. It
3 was a set of all kinds of things that
4 arbitrate really constructive for
5 companies to be involved in that happened
6 to my company.

7 A Yes, sir.

8 Q I just parked one question as a trial
9 question.

10 Let me go back to my exhibit which
11 is Exhibit 5 and this is again the profile
12 view of the landfill. And I'm now taking
13 you to the step where the reaction now
14 requires intellect and crosses the quarry
15 as fast as it can because it wants very
16 much to reach the low level radiologically
17 impacted material and it's gone above the
18 first step of the quarry, the step at,
19 say, 320 feet above sea level and it's
20 still moving to the north and now it
21 encounters the second step which is the
22 greater step in the quarry and goes from
23 approximately elevation say 320 to
24 approximately an elevation like 435, 440,
25 is that what it looks like to you?

♀

1 A Yes, sir, it's under 450 so somewhere
2 440ish.
3 Q It's at least 100 foot step?
4 A Yes, a significant step.
5 Q And it happens to be positioned just
6 because of the heat sync effects of the
7 surface cooling and the bottom cooling and
8 it happens to be positioned right in front
9 of the reaction, right?
10 A M'hmm.
11 Q Yes?
12 A Yes.
13 Q Had you done anything to look at the
14 question of whether the reaction in
15 reaching that more than 100 foot vertical
16 wall directly in its path and as tall as
17 the reaction itself would cause the
18 reaction to jump up over it to get to OU-1
19 or like every other side wall of the
20 entire quarry would simply provide a heat
21 sync that would tend to repel the movement
22 of the reaction?
23 A Yes, that's an interesting point and I see
24 what you're saying in that if you're
25 getting sort of sandwiched with cooling

♀

1 material above and below, the zones
2 overlap and the reaction would be unlikely
3 to continue, there wouldn't be enough heat
4 to sustain it.

5 And that is certainly true, but
6 what, as a landfill fire expert, you know,
7 basically I bring to bear and I've raised
8 it in my mind and in the report what my
9 greatest concerns are that the way that
10 the situation is currently being
11 controlled at Bridgeton is essentially
12 introducing a very large amount of
13 overdraw to control emotion gases into
14 landfills where we're seeing, you know,
15 significant oxygen within the waste mass
16 and I believe if the reaction were to
17 spread into the North Quarry, that you
18 would be basically looking to implement,
19 you know, a similar or same approach to
20 prevent the re-release of odors in the
21 community and volatile, etc. and that
22 which I believe has been, you know,
23 successful from what I've heard the
24 relative level of impacts before the EVOH
25 cap and all the gas controls that you've

♀

1 put in was dramatic worse than it is today
2 and when I was on site I basically
3 uncovered the odors only in some areas,
4 although when I got off the site our gear
5 just stank to high heaven, so there is
6 definitely some volatile organic matter
7 above the liner, but so what I'm really
8 concerned about is essentially as all
9 these measures are being undertaken to
10 control the SSSER that we're really, you
11 know, creating conditions that could at
12 any time essentially initiate a classic of
13 subsurface fire, right, and I think that
14 that is something that we flagged and I
15 remain concerned about and let me say for
16 the record only that often in making a
17 motion to strike part of an answer as not
18 being responsive I can draw a verbal point
19 between one point and another and say move
20 to strike. I can't quite do that verbally
21 right now because of the migration of that
22 answer moved so much distance, but I move
23 to strike whatever portion of that answer
24 is not responsive to my question.
25 /C So let me see if I can break it

1 down in parts because I'm going to let you
2 talk about your concerns. I am. I
3 promise you.

4 A Thank you.

5 Q I am going to let you talk about your
6 concerns, but just help me get some points
7 packaged in a way that they can be read
8 and appreciated and one point that can be
9 read and appreciated it and you hadn't
10 really thought about it before we
11 discussed it in detail, but it could be
12 that this step in the quarry that is
13 greater than 100 feet in depth could have
14 benefit?

15 A Without a doubt, yes.

16 Q And the same sort of benefit that the
17 walls of the quarry has -- have as the
18 reaction has migrated around the -- of the
19 South Quarry?

20 A Yes, sir.

21 Q Now, separately what you're saying is
22 that's not the end of our concern because,
23 you know, I want to protect against any
24 exposure of the reaction to the surface,
25 if that is -- if it's possible for the

♀

1 reaction to reach the surface, right?

2 A Yes, sir, or basically exposure of
3 reacting material to oxygen at depth as
4 well.

5 Q Two separate points. I'm going to take
6 them sequentially. So for the first point
7 of wanting to make sure the reaction
8 doesn't daylight if you will, one thing
9 that would be very useful would be to have
10 the North Quarry like the South Quarry not
11 only temperature monitored and gas well
12 temperature monitored, but also to finish
13 covering the North Quarry with EVOH. That
14 would be beneficial, wouldn't it?

15 A Yes, sir, and I flagged in my mind I
16 researched, you know, the melting point of
17 EVOH and I believe it was somewhere around
18 350 degrees Fahrenheit or something and I
19 kind of flagged that if when we encounter,
20 you know, fire-type situations that we
21 encounter temperatures very much higher
22 than that so that cover could be
23 compromised if there was an uncontrolled
24 situation like that thing that happened in
25 2014 it got larger and so my

1 recommendation in the report is to in
2 addition to or prior to placing the EVOH
3 cover, if that's the chosen bit that there
4 would also be an insulating barrier of
5 some additional soil beneath that cap.

6 Q So I've got to unpack all of that, but I
7 was trying to get there in chunks and I'm
8 going to go back to the chunk I was on.

9 A Yes.

10 Q And so did you know whether or not
11 Bridgeton Landfill has already committed
12 to finish covering in the North Quarry
13 with EVOH as soon as the people with the
14 decision making authority make the final
15 decision whether or not there is an
16 isolation barrier required, whether it's a
17 physical barrier or a thermal barrier so
18 that we can key the EVOH cover into
19 whatever is there and not have to tear out
20 something that's been built. Did you know
21 that Bridgeton Landfill has already
22 committed to that?

23 A No, I did not know that.

24 Q Okay. So if that's true, if it's true
25 that Bridgeton Landfill has already

♀

1 committed to that and if Bridgeton
2 Landfill performs its commitment, then
3 that would mean that it is simply a matter
4 of sequence for the North Quarry to be
5 finally covered with the EVOH cover in the
6 same way that the South Quarry is and that
7 whatever EPA chooses as the decision on an
8 isolation barrier which is I which could
9 be one of three things one is there's not
10 a need, the second it could be thermal
11 like cooling systems, the third is it
12 should be physical and aligned this way,
13 but once EPA makes that decision, it is a
14 good thing if then, following implementing
15 their decision, I then button up the North
16 Quarry with EVOH cover right up to that
17 point, fair enough?

18 A what I would offer to comment on that is,
19 as I mentioned, the travel times the risk
20 case scenario, you know, historically that
21 reaction in my opinion has spread as
22 quickly as, you know, travelling through
23 that North Quarry in three to six months
24 and so I'm saying if there was a concern
25 about, you know, that that reaction is

♀

1 entering the North Quarry I think that all
2 parties at the table should basically
3 agree to implement that measure on a party
4 basis and not delay it just for the sake
5 of implementing safe guards, you know, if
6 there's a willingness by you guys to put
7 it in, I believe it's logical to just
8 hopefully expedite that as quickly as
9 possible.

10 Q I hear you, but you're speaking to someone
11 who is not and you're forcing me to go
12 back to the question of this three to six
13 months stuff. So that's where I'm going
14 to go next.

15 Here's what you're not saying.
16 You're not saying that the settlement
17 front has ever moved at an average rate of
18 5 to 10 feet per day. You're not saying
19 that?

20 A No, sir.

21 Q You're not saying that the CO2 progression
22 in any area has moved as fast as 5 to 10
23 feet per day. You're not saying that?

24 A I would say --

25 Q The CO.

1 A The CO progression in my interpretation of
2 that Stage 3 Stage 4 transition that that
3 has moved at that rate, that the
4 escalation, the initial spike-up of the
5 carbon monoxide generation has initiated
6 and that's why I believe in the period of
7 2012 2013 when there was such serious
8 releases when this thing was spreading
9 very, very quickly that the travel from
10 wall to wall is quicker.

11 Q I just have to keep reminding the listener
12 of the context of what you're saying
13 because I want you to understand that we
14 don't think that your suspicion about a
15 five-step reaction is true. I'm not
16 asking you to agree that I'm right. I'm
17 asking you to agree that we have that
18 view?

19 A And I have no -- you're entitled to
20 whatever you want to hold.

21 Q Right. But just to go back to it and just
22 to get the sequence of things that have to
23 be true before any of yours counts, on
24 page 110 you describe the five steps.

25 A Is that in the conclusion section?

♀

1 Q Yes.
2 A I'll quickly return to that.
3 Q We read this a few minutes ago.
4 A Yes. I'm ready.
5 Q It's under 122 it starts with the word
6 analysis in the second paragraph and
7 here's where we are. You list five steps,
8 right?
9 A Yes, sir.
10 Q You say LFCI, that's your company?
11 A Yes, sir.
12 Q Your company which admittedly has no
13 experience in chemical reactions that
14 makes you an expert in that, right?
15 A Yes, sir.
16 Q And you say LFCI suspects that the five
17 reaction steps are and then you list the
18 five steps, right?
19 A Yes, sir.
20 Q And then you start graphing things and you
21 make a hand drawn place where you say here
22 is then what I think is the place where
23 there's a transition from step 3 to step
24 4.
25 A Yes.

♀

1 Q And that's the next part of your analysis.

2 The next part of your analysis is
3 you say, I think the speed of transition
4 between my step 3 and my step 4 that I
5 suspect exist is 5 to 10 feet per day,
6 correct?

7 A Yes, sir.

8 Q And then built upon all of those claims
9 and suppositions you say and if that were
10 the speed of reaction across a quarry
11 including the reaction through the water
12 in the North Quarry, then the mathematical
13 calculation of the distance from the neck
14 to the rads divided by that rate of speeds
15 is three to six months?

16 MS. WHIPPLE: Objection. Form, argumentative.

17 MR. BECK:

18 Q Isn't that exactly what you're saying?

19 THE WITNESS:

20 A That is the complicated explanation of
21 what I'm saying in that it builds in the
22 reaction what I think is critical is the
23 transition between 3 and 4.

24 MR. BECK:

25 Q And other than as context all I can tell

1 you is I don't care and I say that
2 respectfully.
3 A Yes, sir.
4 Q I'm trying to make a point about what
5 moves and how fast it moves and when you
6 keep pulling me back into your steps that
7 you suspect involving chemical reactions
8 in which you're not an expert and
9 inferring from distances on graphs between
10 what you think is one step and what you
11 think is another step and then applying
12 that to distances across geography, I
13 still have to be able to get to a point in
14 order to finish questioning you.
15 A Yes, sir.
16 Q And so in order to finish questioning you,
17 the point I need to get to is: I get how
18 you constructed the idea of three to six
19 months. I get it.
20 A Yes, sir.
21 Q What I want to talk about now is something
22 totally different from the theory
23 suspicion and construct under which you
24 saw fit to write the phrase three to six
25 months in report.

1 So before I go there, you didn't
2 intend for that to terrorize in St. Louis
3 County, did you?
4 A Absolutely not, sir.
5 Q And you haven't said that the reaction is
6 either in or going into the North Quarry,
7 have you?
8 A No, sir.
9 Q And you haven't said that this concern
10 that you have has ever or will ever occur,
11 this concern about the reaction meaning
12 the rads you haven't said that will occur
13 or it is occurring, correct?
14 A Correct.
15 Q All you've done is created this
16 theoretical calculation basis, applied
17 that to distance and that produced the
18 phrase three to six months", correct?
19 A Yes, sir.
20 Q And if people think you mean it's time to
21 start putting away bottled water because
22 you're going to be in your basement for a
23 long time, you've got to feel bad about
24 them worrying that much, right?
25 A I do, yes.

♀

1 Q Okay. Because you didn't mean for them
2 to?

3 A No, sir.

4 Q And if people are out there trying to use
5 what you wrote to make people worry like
6 that, that is evil, isn't it?

7 A I wouldn't --

8 Q It's terrorism?

9 MS. WHIPPLE: Objection. Argumentative. Form.

10 MR. BECK:

11 Q I'll give you a better word. It's fear
12 mongering?

13 MS. WHIPPLE: Objection. Argumentative, form.

14 MR. BECK: It's also cross-examination.

15 THE WITNESS:

16 A The way I would answer the question is the
17 when I wrote the report in my mind based
18 on the similarity of the South Quarry and
19 the North Quarry, I felt there was a
20 possible risk of that same scenario
21 playing out and some of the points raised
22 today and I sort of flagged them as well,
23 you know, with the water levels with
24 respect to the ones that you raised about
25 the thermal barriers of the bedrock I did

♀

1 not consider that may have an effect on
2 the thing, but what I kind of find
3 frustrating is that if we can just take
4 one second to conclude and hopefully
5 simplify I like, I admit totally that on
6 the chemistry side let's not go on the
7 chemistry and the five steps, right, but
8 if we simply look at the time when the
9 temperature in each well spikes up and
10 something starts happening, that's
11 essentially the trigger that I use to make
12 the determination of when a reaction
13 reaches a well and I think in my life of
14 measuring temperatures in had landfills, I
15 could say I'm a reasonably proficient
16 person in doing that and if we simply
17 strip away everything else with the five
18 step reactions and look at when the
19 temperatures escalate in each well I
20 believe you'll draw exactly the same
21 conclusion that in those wells that I
22 looked at, the elevation and temperature
23 started over that same travel time.
24 Q I move to strike the entire answer as
25 non-responsive to my question.

♀

- 1 A Sorry.
- 2 Q Can you point to me a place in your
3 report, Exhibit 1, where you conducted the
4 calculation that you just loaded in your
5 answer to my last question which is a
6 calculation of the time it takes for well
7 A over here to be hot until the time it
8 takes for well B over here to get hot?
9 Can you show us anywhere where you
10 developed that time of heat effect to move
11 and used that to calculate a migration
12 rate for the reaction?
- 13 A Yes, sir.
- 14 Q Sure.
- 15 A It will require probably one of my
16 additional appendices to do that.
- 17 Q Just show me the appendix?
- 18 A I'm not sure if we have that already.
19 It's basically all of those colored
20 interpretation graphs that I created for
21 each of the wells and then I will also
22 require that contour map that's in one of
23 my figures.
- 24 Q I don't require that much of an
25 information. I remember words. I don't

♀

1 want to look at your color coding or
2 highlighting or maps. I want you to put
3 in your report where in words you said
4 that the speed of travel of temperature
5 between two specific wells occurred at a
6 rate that justifies your use of the number
7 three to six months?

8 A Let me have a look at exactly what those
9 words were.

10 Okay, so.

11 Q Page?

12 A To answer that question, I'm looking at
13 basically the bottom of page 84 in Section
14 8.13.

15 Q Let me turn to that, please.

16 A And --

17 Q All right. I'm there?

18 A And I need to put that in the context of
19 the figure on page 78.

20 Q Well, before I turn to the figure, show me
21 the words.

22 A Okay. So basically it's the entire
23 paragraph on the bottom of page 84 where
24 I'm describing the observation of my picks
25 of when the step 3, step 4 thick occurred.

♀

1 Q I thought thought we were off the step 3,
2 step 4?

3 A well, it's the same place where
4 temperatures spike up in the wells, right,
5 and so if you want to instead of saying
6 step 3 and 4 you can basically inject in
7 that word initiation of escalation of
8 temperatures in wells would be exactly the
9 same thing.

10 Q Are you referring essentially to the last
11 sentence in its antecedent?

12 A Yes.

13 Q And so there are two nodes referred to in
14 had that last sentence. What is the first
15 node? I don't need an explanation. I
16 just need it identified.

17 A Okay. It would be the location which is
18 at on Figure 8-19 which is highlighted as
19 February-11 I can't quite make out the
20 well number. That's one of the nodes.

21 Q well, the nodes are spaces, right, they're
22 places?

23 A Spatial locations, yes, sir.

24 Q Is it 65? Someone with better eyes than
25 me told me it was 65.

♀

1 A As far as I can read it looks to me like
2 it's 67A.
3 Q You think it's 67A?
4 A That's what I believe my February 11
5 points to.
6 Q So node 1 is 67A?
7 A Yes, sir.
8 Q And what is node 2?
9 A It's the node that's dated March 11th and
10 below that is is a well number that I
11 can't make out.
12 Q Just below the March 11?
13 A Yes, sir.
14 Q
15 (Discussion off the record)
16 Q There are two March 11. You're talking
17 about the?
18 A The one that's centralized in the
19 contours.
20 Q You're talking about the one here?
21 A Yes.
22 Q So it's at the top of the diagram about
23 three fifths other the way to the right
24 and it says March 11 in a little circle
25 surrounded by an and the larger circle

♀

1 says April 11?

2 A Yes, sir that's the one.

3 Q Now, whatever the GEW inside that circle
4 that's node 2?

5 A I believe so, yes.

6 Q And so what you're saying is and I think
7 you actually answered it here, haven't you
8 look back at the text of 8.13 on page 84
9 of your report, Exhibit 1 and so here is
10 what you're saying, you're saying that on
11 February 11 it was at GEW, February 2011?

12 A Yes.

13 Q And then you're saying shortly afterwards
14 which is March 2011 it was at GEW 35?

15 A What I'm saying is a second, I believe
16 there were two places that the reaction
17 initiated that independently started in
18 two locations. One was in the centroid
19 of this contour and the second one was in
20 the centroid of the other contour and then
21 the reaction spread from those two
22 locations.

23 Q So you're saying the three to six months
24 now is not a calculation based on the
25 distance between two nodes, it is not?

♀

1 A It is.
2 Q what are the two nodes whose distance
3 results in that calculation?
4 A Basically my calculation looked at the
5 rate of spread from the initiation points
6 and the one I used was basically GEW 67 in
7 February and then the next location in
8 March 11 down below, that's where I kind
9 of made my calculation.
10 Q But don't say down below. Give me a
11 place.
12 A well, I'm saying it's whatever this well
13 here is.
14 Q Help me with the record. This well here
15 is what?
16 A On the daily scale of this drawing I
17 cannot make it out. If you give me a
18 second I'll show you where --
19 Q Just show me where?
20 A Basically that location right there.
21 Q Right there?
22 A Yes, sir.
23 Q Let me try to make a record of this. In
24 the center of Figure 8-19 of your report
25 there exists the numeral 2 in a large

♀

1 printed form?
2 A Yes, very visible.
3 Q Immediately above that is the handwritten
4 words March 11, correct?
5 A Yes, sir.
6 Q Just below the M in March is a gas
7 extraction well, correct?
8 A Yes, sir.
9 Q And so you said if in February the
10 reaction is at 67A?
11 A Yes.
12 Q And in March it is at that other well
13 under the M?
14 A Yes.
15 Q Then the distance between those two told
16 me how far the reaction moved in one
17 month?
18 A Exactly.
19 Q And then if I multiply that by 3 or 6 and
20 it's the width of the North Quarry that's
21 how I came up with this?
22 A Yes, sir.
23 Q Is that where you got the three to six
24 months?
25 A Yes.

♀

1 Q Wow.

2 Now, let me ask you something about
3 this iceo contouring that you have done on
4 Figure 8-19 and before I do that let's
5 tell the world that iceo contouring is.
6 People who are trying to interpret data
7 have data points and that's what you
8 actually know. You don't infer it. You
9 measure it, right?

10 A Yes, sir.

11 Q And then it's frequently done for
12 environmental professionals to look at the
13 data points they have and to try to draw
14 inferences from them or conclusions based
15 on them including conclusions about how
16 far something might go or conclusions
17 about what direction something might go
18 and for that purpose environmental
19 professionals sometimes draw what are
20 called iceo contours which in this
21 particular instance is this sort of
22 macaroni shaped contour that has the words
23 March 11 written around it just above the
24 2, right?

25 A Yes, sir.

- 1 Q And the only data that that you had
2 beforehand drawing that iceo contour are
3 the data reflected by the highlighted data
4 points?
- 5 A Yes.
- 6 Q The rest is inference and conclusion?
- 7 A Correct, yeah, and I think I typically
8 engineering geologists will use dash lines
9 when they make an inference like that and
10 that is what I did.
- 11 Q And that's the signal?
- 12 A Yes.
- 13 Q That's the signal you gave us that this is
14 my inference and conclusion?
- 15 A Yes, sir.
- 16 Q Sometimes isocontours can be drawn by a
17 computer.
- 18 A Yes.
- 19 Q Using software incorporating an algorithm
20 which interpolates or makes predictions
21 about the space about data point A and
22 data point B using various statistical
23 methods?
- 24 A Yes,sir.
- 25 Q One is called /KRAO*EG?

♀

1 too fast
2 A Yeah, /KRAO*EG it's called. Spelling
3 Q Kreegan (phonetic). /KRAOEG, you didn't
4 do that?
5 A No, sir.
6 Q You didn't have a computer draw these?
7 A I did not have a computer to draw that.
8 Spelling. As you can tell from a lot of
9 my markups I'm trying to basically do
10 things quickly and efficiently and in my
11 world also I'm reluctant to rely on
12 computer programs because they generally
13 tend to make totally straight line linear
14 estimates between data points.
15 Q They have to.
16 A Yes. well, no, there's a whole world of
17 this is where I did my Ph.D. and there's
18 all sorts of different algorithms for
19 doing the contouring, but depending on
20 the, you know, the number of data points
21 you can get some pretty skewed out
22 especially if you have very limited data
23 sets.
24 Q But the difference between having a
25 computer do it and having a human being do

♀

1 it with dashed lines based on looking is
2 the computer has rules, right?
3 A Yes.
4 Q Now, I at least know for the first time
5 now in your deposition on the 15th day of
6 October that in order to have our experts
7 speak to your time calculation, what they
8 need to do is look at Figure 8-19 and the
9 distance between those two points in space
10 and the time between the two data
11 collection events and see what they think.
12 Is that a fair statement?
13 A Yes, and they would look at the escalation
14 of temperatures in those wells above.
15 Q They might think that that's an artifact
16 of a five step suspicion that they don't
17 agree with in which case they don't think?
18 A People thought the world was flat at one
19 point as well.
20 Q People thought there was no water on Mars?
21 A See, science is wonderful. There's always
22 advancements being made.
23 Q But let's go back to earth for a moment.
24 And just ask you what day in February of
25 2011 was the data collection at well 67A?

1 A Basically.

2 Q I'm just asking for a count or day.

3 A I would not without going to the database

4 and figuring out what date it was I could

5 not answer that.

6 Q Just for calculation purposes you used it

7 could have been February 1st or it could

8 have been February 28th or 29th?

9 A Yeah, I made basically a pick from the

10 graph and essentially looked at a month

11 basis.

12 Q Right, I know. I know. But it may not be

13 a month. It may be longer or shorter,

14 right?

15 A M'hmm.

16 Q That's my point?

17 A Yes, sir.

18 Q And there wasn't a February 29th in 2011

19 so we can exclude that. But right now the

20 February data point that is the start

21 point for this race that drives all your

22 calculations of time you're not sure what

23 day in February it was?

24 A No, sir.

25 Q And the March date for the data point at

♀

1 the second well to which the race or at
2 which the race ended I assume you can't
3 tell me whether it's March 1st, March 31st
4 or my birthday.

5 A Yeah, and, again, my picks were basically
6 made from a linear projection on the
7 graphs, not and may not necessarily
8 correlate to a specific date that the
9 measurements were taken. It's essentially
10 an interpolation of the trends of the
11 temperature lines.

12 Q All of which I don't understand but don't
13 need to.

14 All I need to understand is: Do you
15 or do you understand what day in March the
16 second temperature well value was taken?

17 A Basically to fairly answer that question
18 is in my analysis it was immaterial what
19 day the sample was taken because I'm
20 looking at just a trend line on a graph.

21 Q Having told me that my question doesn't
22 matter, can you now give it a response?

23 A I'm trying to --

24 Q Do you know which day in it March?

25 A That the sample was taken?

♀

1 Q Yeah.

2 A It's in the database. I specifically

3 don't know it off the top of my head.

4 Q Do you know if the time lapse between the

5 February sample at 67A and the March

6 sample at the other well was 30 days, more

7 than 30 days or less than 30 days?

8 A Yes, I made the assumption it was

9 approximately 30 days.

10 Q And that's the opposite of what I asked

11 you. I knew you made that assumption.

12 A Yes, sir.

13 Q Nobody doubts you made that assumption.

14 My question is: what was the fact, not

15 the assumption. Was the fact that it was

16 30 days, more than 30 days or less than 30

17 days?

18 A In my mind, it's all about trend lines and

19 contouring, not specific -- I don't know

20 how better to answer your question.

21 Q Well, you can answer my question by

22 answering it which you haven't done so far

23 and I move to strike as non-responsive.

24 The question was simply from the

25 time period from the collection of the gas

♀

1 well temperature 67A February 11 to the
2 gas well temperature at the second place
3 on March 11 a time period of 30 days, more
4 than 30 days or less than 30 days?
5 A Okay. Could I try and --
6 Q No, you can answer that. And if the
7 answer is I don't know, that's a great
8 answer, too, but I get to ask the question
9 and I'm entitled to an answer.
10 A The time gap was 30 days.
11 Q Exactly.
12 A Exactly.
13 Q Okay.
14 A Yeah.
15 Q And so those two sampling events occurred
16 30 days apart?
17 A The travel time analysis that I used 30
18 days apart?
19 Q I'm not talking about that. I'm talking
20 about when the data were gathered?
21 A That I don't know because -- okay.
22 Q All right. Now, you see where you say in
23 your report on page 84 that the second
24 node started independently?
25 A Yes, sir.

1 Q That can happen, right?

2 A Yes.

3 Q There's not necessarily movement from
4 point 1 to Point B. Sometimes there's
5 just heat at point A followed by heat at
6 Point B that is not related to point A?

7 A Sometimes.

8 Q All right. Let's break for lunch?

9 THE VIDEOGRAPHER: Going off record. The time is
10 12:49.

11 (PROCEEDINGS RECESSED AT P.M.)

12 (PROCEEDINGS RESUMED AT P.M.) /* test test

13 THE VIDEOGRAPHER: We're back on the record. Here
14 begins media Unit Number 3, Volume 2 in
15 the deposition of Tony Sperling. The time
16 is 1:42.

17 MR. BECK:

18 Q Dr. Sperling, after the lunch break are
19 you ready to proceed?

20 A Yes, sir. Rock and roll.

21 Q You had referred to an appendix containing
22 some wealth of monitoring gas well data
23 that was important to your explanation to
24 me of the grounding for your time of
25 travel calculation?

1 A Yes, sir.

2 Q That's Appendix G.

3 A Beautiful. Thank you.

4 Q And I have very few questions about it.

5 MS. WHIPPLE: Did we make this number 8?

6 MR. BECK: 10.

7 MS. WHIPPLE: Sorry.

8 MR. BECK: Number 10.

9 Q And so for Appendix G I see a series of
10 pages each of which has two graphs. The
11 upper graph appears to graph for a
12 particular well and on a series of dates
13 the vacuum pressure measured in inches of
14 water and the temperature measured in had
15 Fahrenheit. Is that what the upper graph
16 shows?

17 A Correct.

18 Q And I don't see any handwritten marks on
19 that, so I don't need to worry about that.

20 The lower graph then shows for the
21 same well the -- it shows three things one
22 is the average of carbon dioxide, the
23 average of methane and the average of
24 temperature for that well based on data
25 points which are across the bottom axis

1 as points in time?
2 A Yes, sir.
3 Q And when you say average of, why does it
4 say average of CO or CH temperature?
5 A That would be a Dr. Abedini question --
6 Q Okay.
7 A -- as to why he --
8 Q Your view would be these that these would
9 measure not averages but actual data
10 collection moments?
11 A I believe so, yes.
12 Q So if it's something other than that,
13 he'll need to explain how he got there?
14 A Yes, sir.
15 Q The decision about how to mark these up by
16 hand based on your interpretation of what
17 they meant?
18 A Yes, sir.
19 Q So for that I need to ask you when you
20 mark them up by hand your interpretation
21 what they meant was not that these were
22 average values but these were measured
23 values at particular points in had time?
24 A Yes, I interpret them as spot measurements
25 at particular moments in time.

♀

1 Q And let's go to the second, well, no, we
2 can see on the second page of graphing of
3 well 12A you've got some highlighting in
4 pink, some highlighting some highlighting
5 in red and highlighting in orange. Can
6 you simply give me a verbal key to what
7 those colors refer to? I don't need a
8 long explanation, just a verbal key.

9 A Yes, sir. Generally they refer to
10 foremost I'm highlighting different
11 chemicals or temperature in different
12 colors, so I can see, for example, the
13 pink would represent the I believe it's
14 the let me just get it right because the
15 green and the blue, but the pink generally
16 represents CO, CO2 and the orange would be
17 representative of temperature and the
18 green of methane in in the green of
19 methane and then I tried to flag those
20 within these zones that you don't sort
21 of -- seem to like me talking about. So
22 for example the methane drop in step 4 is
23 marked by red and so I always mark the
24 methane drop in step 4 with the red
25 highlight.

- 1 Q Right. But both the existence and
2 location of step 4 are things that you
3 came up with?
- 4 A Yes, as an interpretation of the trends in
5 the data that I see.
- 6 Q Right. The existence of step 4 is an
7 invention of yours as a concept and
8 because the invention of the entire five
9 step process was an invention of a
10 concept, but the highlighting simply
11 reflects what you see in that parameter
12 when you look at the data that you think
13 is important to call out?
- 14 A Yes, sir. I see, you know, when it drops
15 dramatically that's wherever I
16 highlighted.
- 17 Q Right, and the dotted lines are simply to
18 separate the places you called the steps?
- 19 A Yes, and.
- 20 Q The vertical dotted lines?
- 21 A Yes, where I see break points and changes
22 in trends.
- 23 Q And the circled numbers simply represent
24 you labelling the steps that you said you
25 suspect are involved in the reaction based

♀

1 on looking at a particular data value as
2 it progressed over time?
3 A Yes, sir.
4 Q Axis?
5 Q Back to your map, I want to go back to
6 your report, it's on page 85 which is this
7 map we were trying to interpret to get a
8 well number.
9 A Yes, sir.
10 Q And, again --
11 A My map page 85 disappeared.
12 Q You probably pulled it out and referred to
13 it earlier.
14 A Yeah, I must have. It ended up somewhere
15 else in the pile. That's unfortunate.
16 Q Let's see if it we can find it. I need to
17 use it.
18 A Okay. Let me just look in the exhibits
19 just in case it got mixed in.
20 Pause.
21 MS. WHIPPLE: 85.
22 THE WITNESS: Page -- I'll put it in the right
23 place. what page number is it?
24 MS. WHIPPLE: This is 19 through --
25 MR. BECK: 84.

1 MR. BECK: Comes right after 84.
2 A So it belongs right there.
3 Q I'm interested in the text as well as the
4 picture on 85 for this line of questions.
5 Now, I'm going to show you something I've
6 done with page 85 on my version.
7 A Mm.
8 Q I've drawn kind of a big circle to help
9 identify this elbow macaroni-shaped
10 isocontour that contains those two wells
11 we were talking about. Can I ask you to
12 do something similar to that to draw out
13 on the original?
14 A So basically to highlight the single
15 contour?
16 Q We want to encircle the isocontour that
17 contains both wells.
18 A Right (witness indicates) something like
19 that.
20 Q Other than the difference between lawyers
21 and engineers is I left my pen on the
22 paper and drew a continuous line and you
23 being an engineer took your pen and picked
24 it up and drew a dotted line, right?
25 A Yes.

1 Q And if the question is who then is
2 happier, the answer then is someone other
3 than the both of us who is not looking at
4 this map.

5 Next question is this: The two
6 wells that you gave me as points of
7 interest are 67A which is the one
8 immediately next to the FEB 11
9 handwriting?

10 A Yes, sir.

11 Q Just under that handwriting. And then the
12 other one is just under the March 11
13 handwriting still within the elbow
14 macaroni isoconcentration line and it's
15 highlighted in orange under the M?

16 A Correct.

17 Q And if you could just look at my iPad and
18 see if it looks to you like it's 11A?

19 A Just to -- it appears to be, but I think I
20 would like to just reference my bigger map
21 to confirm that.

22 Q That would be great. I would love to have
23 an exact name.

24 A Because I think it's essentially that, a
25 copy of that map that generated.

♀

1 So if we look at number 2 here and
2 we have 67A and below that March, it
3 actually looks like it's labelled -- it's
4 number 13A.

5 Q 13A?

6 A Yes.

7 Q Thank you.

8 And so my first kind of getting back
9 to where I was going question is: Let's
10 assume for the moment that in sequence 67A
11 exhibited whatever characteristic matters
12 to you and later 13A exhibited whatever
13 characteristic matters to you.

14 A M'hmm.

15 Q You already told us that there were
16 instances where two wells separately and
17 independently exhibited that
18 characteristic, right?

19 A Yes.

20 Q How do you know that's not the case for
21 67A and 13A?

22 A Basically I cannot know for certain that
23 there is a chance that the reaction
24 started at one and independently at other.
25 Given the overall cluster of what I saw

♀

1 in -- I'm not sure if it's a forest fire
2 or whatever occurs if it starts at one
3 place and grows over time from a centroid,
4 then I typically relate that spatially
5 from one event spreading outwards.

6 Q That's what you would do if you were
7 looking at a forest fire?

8 A Yeah, or down wind, you know, in one
9 direction.

10 Q If you were looking at something in the
11 wind?

12 A Yes.

13 Q Okay. Now, we're looking at something
14 deep in the subsurface of the ground,
15 right?

16 A Yes.

17 Q And I think you've answered my question
18 about whether 67A and 13A could be
19 independent, but let me ask you a
20 different question and that is there's not
21 scale on this drawing that I can see. Can
22 you tell how far apart they are?

23 A Yes, if I had the major map. There are
24 grid lines in the drawing which was to
25 scale and I made that determines but off

♀

1 the top of my head I don't remember what
2 that what those what that separation is.

3 Q And if my penultimate goal today is
4 acquire the information necessary for
5 other of greater intellect than myself
6 to check your work --

7 A Yes, sir.

8 Q -- how do I do that?

9 A Basically I would request from Peggy here,
10 I have essentially this map I believe in
11 the folder with the scale bars and
12 everything. I could provide and that
13 would actually give you the title --

14 Q Please.

15 MS. WHIPPLE: Do I have it here?

16 THE WITNESS: I believe it is, but.

17 MS. WHIPPLE: In a folder?

18 THE WITNESS: I'm just not sure if I actually put
19 it in the package. I had it yesterday.
20 It doesn't look like it is there. So
21 unfortunately it seems like I didn't bring
22 it with me today.

23 MR. BECK:

24 Q Can you answer from your memory how far
25 apart are they?

1 A I'm trying to think if there is
2 information to that effect. I would
3 imagine that they're a certain amount of
4 yards apart or I believe it would be a 500
5 yards or a thousand feet, but off the top
6 of my head -- would it be possible for me
7 to answer to you at the end of day and
8 send you that information or -- I can.

9 Q I can't leave the record open for answers
10 after the record, but I can do this. I
11 can try and help you. Let me ask you to
12 turn to page 84.

13 A M'hmm.

14 Q The preceding page in your text and see if
15 we can draw a reverse inference since
16 we're reversing everything in this
17 deposition.

18 A Yes, sir.

19 Q Since you say from these two nodes one of
20 which is 67A "the SSSER spread at a rate
21 of approximately 50 to 100 yards per month
22 to the north and south and somewhat slower
23 to the east and west"?

24 A Yes.

25 Q Does reading that text help you

♀

1 approximate the distance between 67A and
2 13A as you measured it?
3 A Yes, sir, it would be basically roughly a
4 one-month increment initially in that
5 distance. I would assume would be.
6 Q So you think they're about 150 to 300 feet
7 apart?
8 A Yes, sir.
9 Q If they turn out to be only 100 feet apart
10 that affects your whole time?
11 A To some degree.
12 Q If they turn out to be more than 300 feet
13 apart it affects your whole time
14 calculation?
15 A Yes, when I made that calculation I used
16 ad scale bar and accurately measured that
17 distance with the scale bar and the
18 conversion, so I --
19 Q If you accurately measured it with a scale
20 bar why did you have to express the result
21 in a range of, you know, where one end of
22 the range was twice as much as the other?
23 A Because the distances between node points,
24 for example, going from February to March
25 is one month whereas the next contour has

♀

- 1 got two month increment, so the reaction
2 was in that period slower.
- 3 Q Are you saying you made two scaled
4 measurements one of which produced 150
5 feet and the other which produced 300
6 feet?
- 7 A Yes, sir.
- 8 Q And so which is the other node? Is it from
9 35 to something else?
- 10 A It would have been from the node dated
11 March 11th to the node dated June 11th.
- 12 Q And which node dated March 11th?
- 13 A It would have been well 13A and then June
14 11th.
- 15 Q 14A down below it?
- 16 A Correct.
- 17 Q Okay. And so what you said is, if I get
18 it right, the time of travel from well 67A
19 to well 13A was one month. I'm sorry, was
20 one month and 150 feet. The time of
21 travel from -- well, no, I don't get it.
22 I'm sorry, you'll have to explain it in
23 words.
- 24 A Okay.
- 25 Q How far is it from the well 13A to the

♀

1 well 14A?
2 A 13, 13A to 14A... assuming that if -- if
3 the distance between the February 11 and
4 March 11 date points is about 150 feet,
5 the next one would be 300, but --
6 Q well, no, it's a three-month time frame.
7 Let me turn it around. The distance
8 between February 11 and March 11th from
9 67A to 13A, as you've mapped it here --
10 A Yes.
11 Q -- would be 300 feet in one month?
12 A Yes.
13 Q And the distance from 13A to 14A would be
14 450 feet in three months, so a rate of 150
15 per month.
16 A Yes.
17 Q Is that what it is?
18 A Something like that, yes, sir.
19 Q And this is how you got your range. One
20 went a longer distance in one month and
21 the other went a shorter distance per
22 month over a three-month time frame?
23 A Correct, and I basically looked at the
24 approximate contour spacing and, again,
25 getting so a typically range of, you know,

1 like this far looking at the sort of
2 representative spread of the -- I guess
3 we could call them isochrones (phonetic),
4 they're points in time.

5 Q Now, have we now gone through what one
6 needs to know to evaluate your time
7 calculation that led you to use the phrase
8 "three to six months" on several occasions
9 in your expert report?

10 A Yes, sir.

11 Q Dr. Sperling, let me go to a different
12 topic and in order for me to do that and
13 feel like we'll be able to find your
14 exhibits later, let me take a moment and
15 ask you to kind of re-arrange them in the
16 order they go in and then we'll come back
17 and talk?

18 A Excellent.

19 THE VIDEOGRAPHER: Should we go off record,
20 counsel?

21 MS. WHIPPLE: Sure, we can.

22 THE VIDEOGRAPHER: Going off record. The time is
23 2:03. .

24 (PROCEEDINGS RECESSED AT P.M.)

25 (PROCEEDINGS RESUMED AT P.M.) test test

1 test

2 THE VIDEOGRAPHER: We're back on the record. The
3 time is 2:07.

4 MR. BECK:

5 Q Ready to go?

6 A Yes, sir.

7 Q So let's judge this from the following
8 perspective for a moment. Let's assume
9 that one either has to believe Dr.
10 Sperling or not and that if one chooses to
11 believe Dr. Sperling that it requires
12 belief in everything you've said,
13 everything you've said in your report and
14 so here's my question: If I just leave
15 the water level in the North Quarry where
16 it is and where it's been, the reaction
17 can never go in the North Quarry because
18 it can't travel under water according to
19 you, correct?

20 A Correct that assuming the elevations in
21 the North Quarry were to be very close to
22 ground surface. Again, I had information
23 going back to the Aquaterra 2010 graph
24 that shows approximate water levels
25 depressions and I don't know what the

1 pumping history has been recently but if
2 if you have good levels that show what the
3 water levels are in the quarry and they're
4 very high, my belief that the temperatures
5 below the water table are cooled by the
6 water will not generate pyrolysis, that
7 yes, I would assume that certainly, yes
8 /(.

9 Q well, here's what happened right now. I
10 included an assumption within my question
11 and you said yes, if that assumption is
12 true so let me ask it again just really
13 clearly.

14 If we don't reduce the water levels
15 in the North Quarry, then it is your
16 belief and testimony that it is physically
17 impossible for the reaction ever to enter
18 the North Quarry, true?

19 A From my understanding of the process, yes.

20 Q So if I want an isolation barrier to
21 protect the radiologically impacted
22 materials in operative unit of the
23 superfunds site, all I have to do is
24 maintain the water level in the North
25 Quarry at a sufficient height and I've

1 accomplished everything that you need from
2 me, right?

3 A Basically, that is my conclusion, but I
4 would predicate that on, you know,
5 confirming that with the experts in -- in
6 the field of chemistry.

7 Q Right now I'm only on what you're telling
8 me.

9 A Yes, yes.

10 Q And so based on what you're telling me,
11 I'm correct?

12 A Yes.

13 Q Okay. And so do you remember that in your
14 report you came up with some ideas to have
15 people talk about, think about, bring in
16 experts to look at, consider and maybe
17 implement and that one of those ideas was
18 well, you could rapidly fill the quarry
19 with water and you were referring to the
20 South Quarry where the reaction was you
21 could rapidly fill it with water and that
22 might help remove some of the heat and
23 eventually bring it to a conclusion
24 sooner.

25 A That's right.

♀

1 Q True?

2 A Yes.

3 Q That had the potential disadvantage of by
4 introducing so much water into the quarry
5 potentially making it difficult to stop
6 the ex-filtration of leachate to
7 groundwater offsite and it might cause
8 groundwater contamination off site?

9 A Yes, sir.

10 Q And that's why before anybody should ever
11 think about implementing an idea like
12 that, you would want groundwater
13 professionals who have really studied
14 groundwater here to do a very thorough
15 evaluation of is that a risk and, if so,
16 how important is it because you would
17 certainly agree that cause offsite
18 groundwater contamination is something you
19 don't want to do?

20 A Absolutely.

21 Q And particularly that's true where you
22 have some effects of this reaction in
23 groundwater on site such as some fairly
24 sharply increased benzene. That's
25 something you don't want to go off site?

♀

1 A Yes, sir.
2 Q And so before anyone does anything about
3 putting any cold water fast into the South
4 Quarry, you want that to be fully vetted?
5 A Yes, sir.
6 Q Okay. Do you know why the Attorney
7 General's office didn't have that idea
8 fully vetted by its groundwater experts
9 who are their expert witnesses in this
10 case?
11 A I do not know if they had or did not have.
12 Q Okay. But let's talk about, you know, the
13 different goals that we have. One of the
14 goals is it would be just better than
15 anything in the world for this reaction to
16 stop and that's what that goes to, right?
17 A Yes.
18 Q Another of our goals is if it's not going
19 to stop, we certainly want to control its
20 effects as best as we possibly can, right?
21 A Yes, sir.
22 Q EVOH cover is is a part of that?
23 A True.
24 Q And if it's not going to stop we certainly
25 want to make sure that we keep it out of

♀

1 the New York if we can for two reasons
2 one, we don't want the North Quarry to go
3 through that and the community to go
4 through that and, two, we don't want the
5 reaction anywhere close to the
6 radiologically impacted materials, right?

7 A Yes, sir.

8 Q And I accomplish both of those goals
9 completely if I agree to, receive, monitor
10 and comply with a permit condition setting
11 a minimum liquid elevation in the North
12 Quarry higher than the reaction is in your
13 opinion, correct?

14 A Yes, sir.

15 Q And have you identified the specific
16 elevation that gives you the margin of
17 comfort that you feel like it would be a
18 reasonable permit condition to accept?

19 A Based on what I have seen in the
20 temperature profiles and I would want to
21 study those in more detail, but just going
22 off TMP 7 as a preliminary indication.

23 Q Sure.

24 A I would say it appears something like 40
25 feet.

1 Q 40 feet below ground surface?

2 A Based on that one monitor and I want to
3 reserve my opinion on adjusting that
4 depth.

5 Q And to make it really simple and I know
6 it's not a bowl full of water but if it
7 were a big bowl full of water if we stay
8 no more than 40 feet from the top then
9 we're good then you start to worry if we
10 go lower than that or if you find there's
11 a change in the reaction profile of the
12 TMPs?

13 A Yes, sir.

14 Q And that can be done without ever
15 introducing any water into the South
16 Quarry, right?

17 A Yes, sir.

18 Q Mostly that is protected by controlling
19 the removal of leachate from the North
20 Quarry so that the balance between what
21 infiltrates from rain, what infiltrates
22 side gradient from groundwater or other
23 flow is at least equal to what gets pulled
24 out as leachate; is that right?

25 A Sorry?

- 1 Q I was on water balance.
- 2 A Yes.
- 3 Q On water balance, the way that you keep
4 the level of the leachate in the North
5 Quarry at least within 40 feet of the top
6 ground surface is that you make sure that
7 the amount of leachate you pull out is is
8 not greater than the liquid that goes in
9 had?
- 10 A Yes.
- 11 Q And two ways liquid goes in are it rains
12 or some comes in from the sides?
- 13 A Pretty much that's the way I understand
14 it.
- 15 Q And if for any reason you pulled out too
16 much liquid and created a situation you
17 didn't like because you didn't know the
18 next time it was going to rain, you didn't
19 see the water level moving up, then you
20 could add liquid into the North Quarry not
21 the South Quarry but the North Quarry and
22 that would accomplish the same effect?
- 23 A Yes, sir.
- 24 Q But it would be better to do some
25 benchmarking where you say, all right, the

♀

1 water level is down to -- I'm sorry what
2 was your benchmark level 40 feet from the
3 top?
4 A Yes.
5 Q The water level is 40 feet from the top.
6 Another benchmark now it's 25 feet from
7 the top time to take action. If it gets
8 to 30 feet from the top alarming time to
9 take action but some step-wise
10 determinants of when something needs to
11 occur in order to have this perfect liquid
12 barrier stay intact, that would make you
13 happy, right?
14 A Yes, except for the offsite migration
15 figure you raised.
16 Q You would still want groundwater
17 professionals evaluating that you weren't
18 exacerbating a problem from the North
19 Quarry?
20 A Yes.
21 Q Okay. But -- okay. That's a little
22 easier, though, isn't it, because if you
23 don't a reaction occurring, you don't have
24 that huge mass production of contaminants
25 coming out of the waste thrown out that

1 you have in the South Quarry. In the
2 North Quarry you've just got static
3 conditions that you can look at trends on.

4 A Yes. Yes, in principle.

5 Q In principle.

6 A I've never examined the leachate
7 characteristics in the North Quarry versus
8 the South Quarry, so I just want to
9 reserve my opinion on that. I don't know
10 how bad the north leachate is.

11 Q And one thing you would look at the
12 chemistry, another thing is the PH?

13 A Yes, sir.

14 Q But assume for a moment that the
15 groundwater monitoring, decks, monitoring
16 and assessment the scheme applicable in
17 Missouri and followed by this landfill
18 requires quarterly groundwater monitoring
19 at perimeter wells around the North Quarry
20 spaced according to the state's
21 requirements and assume that if there is a
22 decks of an increased contaminant or a new
23 contaminant, that requires follow-up
24 testing, reporting and the event of
25 repetition assessment of corrective

1 measures. That's a pretty good structural
2 scheme, isn't it?
3 A In principle, yes, although one of the
4 things that, you know, once you detect
5 something especially in the case of
6 Bridgeton I believe the property line seem
7 to be in fairly close proximity to the
8 core perimeter by the time you detect you
9 might be into offsite migration.
10 Q Who told you that?
11 A Just from my observation.
12 Q Isn't the North Quarry right in the middle
13 of the --
14 A Oh, sorry, I was focused on the south.
15 Q I'm in the North Quarry. Isn't the North
16 Quarry right in the middle of the
17 property?
18 A Yes.
19 Q So you've got a little bit of room?
20 A Yes.
21 Q If you -- you've got a little bit of room
22 to catch up?
23 A Yes.
24 Q
25 [Indiscernible - simultaneous speaking]

♀

1 Q And based on your groundwater experience
2 you could be a valuable member of a team
3 evaluating conditions to make sure tweaks
4 to the monitoring system that already
5 exists that those were considered and
6 inserted into the landfill's permit?

7 A I would be happy to contribute in any way.

8 Q Sure.

9 A I could. If I may expand on something
10 that in the direction that the strategy I
11 outlined and was essentially that my
12 premise that the reaction cannot occur
13 below the water table, right, is
14 essentially the conclusion that pyrolysis
15 does not occur at temperatures sort of
16 below the boiling point of water and that
17 is something that I would like to, you
18 know, have some again an expert in
19 chemistry just verify because when I had
20 discussions with Dr. Grace about the
21 process of pyrolysis and which I believe
22 drives these chemical reactions, he
23 indicated to me that they essentially are
24 reactions are slower and slower at lower
25 temperatures and he felt that -- that

♀

1 basically the boiling point of water is
2 very close to limiting temperature for
3 those processes and so I'm drawing -- that
4 was my primary conclusion why I felt that
5 the reaction could not occur below the
6 water table and I think, you know, given
7 the significance of going in the
8 direction, that's where I recommended that
9 somebody like a specialist like that be
10 engaged to verify that hypothesis.

11 Q So is that a long way of saying that's my
12 opinion but I could be wrong?

13 A What it is is it's a long way of saying
14 that my opinion is based on something I
15 learned during my discussions with
16 Dr. Grace and I just wanted to have one
17 more confirmation of that from him, you
18 know, to --

19 Q Did you have any discussion with Dr. Grace
20 about the question I went into with you
21 yesterday which is whether the added
22 pressure at depth in this landfill changes
23 the boiling point?

24 A No.

25 Q Is that one of the things you want to

1 follow up on?

2 A That in terms of the boiling point I
3 believe the science is solid, right. Like
4 I reviewed the graph and I was aware that
5 the boiling point changes as a sense of
6 pressure I reviewed that graph so I think
7 it's more of an understanding of, you
8 know, probably both the pressure and
9 temperature aspects of the pyrolysis
10 reaction, yes, sir.

11 Q Is it fair to say that after writing your
12 report and doing the few months of work
13 that you've done, the visit to the
14 landfill, the documents you've reviewed
15 and the two days you've spent with me that
16 you're left with perhaps more questions
17 than answers?

18 A Basically, no, I wouldn't say that. What
19 I would say is that I given within the
20 amount of time that I've had to do the
21 analysis that I tried to document my
22 interpretations as best I can and my
23 report, you know, clearly recommends that
24 to verify the chemical aspects of that,
25 that it would be a value to engage a

1 specialist in that area and my report
2 stands on that.

3 Q I hear you. So I want to cover -- you
4 know, we talked about Hiroshima -- or I'm
5 sorry, we talked about the Hindenburg --

6 A Yes, sir.

7 Q -- and why you mentioned that.

8 Now I need to talk about Fukushima
9 and Chernobyl and what you intended people
10 to take from your reference to those two.

11 First of all, did you mean that you
12 foresee that there will be a Fukushima or
13 Chernobyl incident here?

14 A No, sir.

15 Q And if people who see it as their role in
16 life to make people fear the Bridgeton and
17 westlake landfills are playing your report
18 that way because your report is right
19 there on the web for them to read, is that
20 something that you wish they would stop
21 doing?

22 A I would agree with that statement that the
23 parallel that I drew in illustrating the
24 migration of radioactive materials through
25 steam was what I was trying to make the

♀

1 point on.

2 Q You were describing a potential mechanism
3 that one ought to be concerned about, not
4 a magnitude?

5 A Yes, sir, a process of basically migration
6 of radioactive material if water gets
7 heated to steam and then potentially
8 carries radioactive material or --

9 Q You remember we had a pretty long
10 discussion yesterday about what I referred
11 to as the SSE report in which
12 professionals provided to EPA their
13 evaluation on a what if basis, what if the
14 reaction actually hit the low level
15 radiologically impacted materials and then
16 EPA's research stepped in and gave their
17 comment.

18 A Yes. I'm sorry.

19 Q Are you saying that you would like to see
20 that evaluation take account of the
21 potential mechanism of distribution that
22 you have identified which is superheated
23 converts to steam, comes into contact with
24 radioactive particles and through the
25 process of steam just moving causes them

♀

1 to be carried?

2 A If that had not been done already, then I
3 would say that would be a prudent thing to
4 consider.

5 Q Okay, and all you intended to do with your
6 references to Fukushima and Chernobyl is
7 to explain that process in a way you hoped
8 the reader would be able to comprehend so
9 that they could take into account making
10 sure that we protect against that, the
11 risk of steam transport?

12 A Yes, sir.

13 Q Who picked the words Fukushima and
14 Chernobyl? Who termed that phrase?

15 A Totally myself, based on perception of,
16 you know, nuclear events that where steam
17 is involved, those were the ones that came
18 to mind for me.

19 Q Was there any advanced discussion with
20 anyone from the Attorney General's office
21 about the particular selection of either
22 of those words or the word "Hindenburg"
23 prior to delivering your report to them?

24 A No, sir. The only time they would have
25 seen that was when I submitted my report.

1 Q Did you submit it in draft prior to the
2 due date?

3 A No, sir. I basically finalized it.

4 Q September 2nd?

5 A Yeah, I was on an airplane to Iceland
6 while I was e-mailing the conclusions and
7 recommendations.

8 Q Did you not provide any summary, analysis,
9 interpretation or anything so that the
10 Attorney General's office could be aware
11 of what's in it without reading the whole
12 thing?

13 A No, sir. I was asked generally that the
14 Attorney General's office wanted my
15 opinion of the matter and I had
16 essentially carte blanche to interpret the
17 information as technically as accurately
18 as possible with them basically, you know,
19 I submitted my outline initially and the
20 Attorney General's office when is whipple
21 says that makes sense, write your report.

22 Q Were you aware in advance that your report
23 would be served on the press at
24 approximately at the same time as it would
25 be served on me?

♀

- 1 A No, sir I wasn't aware of that at all.
- 2 Q Did you have any idea your report would be
3 publicized?
- 4 A No.
- 5 Q Did you ever consent to your report being
6 publicized?
- 7 A I believe that my report was written for
8 the Attorney General's office and that
9 they essentially took ownership of the
10 report and it was then essentially their
11 report to use it as -- as necessary.
- 12 Q Okay. So if you look at page 116 of your
13 report, Exhibit 1, please.
- 14 A M'hmm.
- 15 Q I want to refer you to the section of your
16 report titled limitations which appears
17 just above your name and seal?
- 18 A Yes.
- 19 Q And particularly the third paragraph of
20 that discussion and I would just ask you
21 to read the third paragraph outloud for
22 us?
- 23 A This is the report that that says the
24 report is intended solely for the use of
25 the Missouri Attorney General's office.

1 Any use of any use which a third party
2 makes of this report or any reliance on or
3 decisions to be made based on it are the
4 responsibility of such third parties.
5 Landfill fire control Inc. does not accept
6 any responsibility for the materials nor
7 for damages suffered because of decisions
8 made or action. Copying of this of for
9 other purposes is not permitted check
10 document [missing text - check audio].
11 Q Is that a common limitation that you put
12 in all of your reports?
13 A Pretty much, yes.
14 Q But just to describe it in execution, if,
15 for example, the Attorney General had seen
16 fit to place this on the internet and call
17 it out to the press and place phone calls
18 to the press saying I'm not getting enough
19 coverage for my expert reports and if as a
20 result somebody printed something that you
21 said that caused some people to say I
22 think I'm going to close my business, it's
23 too close to this place and they suffered
24 a loss from that, you would say that you
25 would not be responsible for that loss

♀

1 under this paragraph?
2 A Correct.
3 Q Did you know that after the Attorney
4 General elected to publicize this report
5 that there is a business that claims to
6 have closed on the basis of your report?
7 A I saw an article on the web that mentioned
8 it. I was trying to remember if it was a
9 dog lease (phonetic) or something --
10 Q Yes.
11 A That was quite concerned about it and was
12 going to relocate.
13 Q Jazzy's?
14 A Yes.
15 Q Have you ever met the owner of that
16 business?
17 A Definitely not.
18 Q Do you think you said something that
19 should cause her to close her business
20 or move?
21 A I believe that it's possible that
22 somebody, if they weren't reading it the
23 way it was intended, may have interpreted
24 for a layperson that's not fully, you
25 know, cognizant of some of the wording,

1 that possibly I could see there was a
2 concern.

3 Q And that takes us to an issue that's
4 pretty important and that is you work with
5 government agencies.

6 A Yes, sir.

7 Q Those government agencies sometimes have
8 to communicate with the public about scary
9 things, right?

10 A Yes.

11 Q The landfill fires that you go put out
12 sometimes can be scary things?

13 A Yes, sir.

14 Q And it's vitally important that the
15 government agencies that provide
16 information to the public do so in a
17 mature, responsible, measured way that is
18 not fear mongering because otherwise they
19 cause themselves cause fear that should
20 not exist?

21 MS. WHIPPLE: Objection. Form. Argumentative.

22 THE WITNESS:

23 A Yeah, I would say that -- that the public
24 or government officials, you know, have a
25 responsibility to protect the public

1 from -- from risks and should present
2 risks in a balanced, you know, approach
3 and certainly I feel that my report, you
4 know, presented that migration thing as a
5 worst case scenario and my impression is
6 that a lot of the media commentary,
7 whatever like you said it's almost like it
8 was going to happen in three months and
9 that I feel is unfortunate.

10 Q I join you in that.

11 So let's kind of take the time that
12 we have left together and I would like to
13 just kind of go through some notes that I
14 made in the report where you had follow-up
15 questions or things I wanted to make sure
16 we're -- and maybe just to tie something
17 up before I go, let's see if a few things
18 fairly summarize what's occurred in the
19 last two days. ***

20 The first thing is this: what is
21 happening at the Bridgeton Landfill today
22 as we talked is not a fire, right?

23 A Correct.

24 Q It is a subsurface reaction that happens
25 to be both self-sustaining and exothermic,

1 meaning it gives off heat?
2 A Yes, sir.
3 Q Today, that reaction is confined to the
4 South Quarry of Bridgeton Landfill,
5 correct?
6 A Yes, correct.
7 Q It's not in the North Quarry, correct?
8 A Correct.
9 Q And it's not close to the radiologic
10 material at OU-1?
11 A Correct.
12 Q It is not moving in that direction in any
13 way that you can discern?
14 A On that one, I would say I have not
15 examined the information at the neck in
16 the level of detail to determine if there
17 is movement.
18 Q Okay.
19 A If there is movement, it's relatively much
20 slower than it has been in the past.
21 Q And if there is movement, you don't know
22 it as you sit here today?
23 A Correct.
24 Q And from the standpoint of the reaction
25 front as that term is technically used,

♀

1 it is in the opposite direction from the
2 neck?

3 A Correct.

4 Q All right. Now, let's go into your report
5 in page 1. I've got my markings on an
6 abbreviated word copy, so I'll try to stay
7 up with the copy you're looking at and
8 keep you there.

9 All right. On page 1 in the
10 paragraph under the seven numbered items
11 in sequence, you describe a full-day
12 inspection of Bridgeton Landfill, a full
13 day of landfill sampling, landfill gas
14 sampling of ten operating extraction wells
15 and a half-day orientation tour of Champ
16 Landfill, correct?

17 A Yes.

18 Q When you went to Champ, did it smell?

19 A I did not notice any significant odor.

20 Q Did you notice whether or not they're
21 still taking or were taking when you were
22 there, loads of sludge, sanitary sewage
23 treatment sludge from the Missouri -- from
24 MSD?

25 A I believe it was mentioned. I do not

1 recollect seeing any being disposed of at
2 the time.
3 Q who brought up the idea of going over to
4 see the Champ Landfill?
5 A I'm trying to recollect on the details of
6 it. It was a discussion about
7 understanding the geology and it was
8 either Brenda or Todd and I can't
9 remember --
10 Q Okay. Brenda is Brenda Audrey (phonetic)?
11 A Yes.
12 Q From the Missouri Department of Natural
13 Resources?
14 A Yes.
15 Q Todd is Todd Thalhamer?
16 A Yes.
17 Q And somebody said, Let's go over and see
18 Champ?
19 A That's correct. I have a gut reaction but
20 I can't be 100 percent percent.
21 Q Give me your impression.
22 A That it was Brenda.
23 Q And who made the arrangements with Champ
24 for your entourage to go see the place?
25 A That I don't know.

1 Q Those arrangements were made before you
2 got there?
3 A Yes.
4 Q They were expecting you?
5 A Yes.
6 Q Who met you and gave you the site tour
7 at Champ?
8 A I would not -- without looking in had my
9 notebook find the gentleman's name, but
10 I believe he was a senior manager of the
11 facility.
12 Q Okay. Did you meet during the time you
13 were at Champ an employee there whose name
14 is Lina Klein? Spelling
15 A No, my recollection is we only were driven
16 around with one gentleman, a fairly I
17 would say mid-age of maybe 55, 60.
18 Q Sure.
19 A And that he toured us around and that's
20 the only person we met.
21 Q And what operations were occurring within
22 Champ just in very broad --
23 [indiscernible - simultaneous speaking]
24 A well, basically first we saw the operation
25 of the as we entered the production of

1 crushing of rock and we essentially drove
2 into the pit, observed the drills that
3 were drilling, you know, on the quarry
4 base and then some of the soil material
5 being placed with dozers. And then --

6 Q I'm sorry, why were they drilling?

7 A I believe to produce, essentially take the
8 material down and possibly to make some of
9 the siltier covered material, I'm not 100
10 percent sure, but they were basically
11 blasting the quarry rock.

12 Q At the quarry operation?

13 A At the bottom, yes.

14 Q Okay.

15 A And then we drove into the landfill
16 portion of the operation.

17 Q Okay.

18 A And saw the active face of the facility,
19 had a quick look at some of the vertical
20 leachate extraction towers they were
21 constructing and the clay barrier side
22 wall they were building and then we headed
23 out and had had a tour of their large
24 landfill gas extraction facility and I
25 believe it's also some form of methane

1 conversion facility, I don't recollect the
2 details.

3 Q By that you mean gas to energy?

4 A Yes, sir. It's a very -- it seemed like a
5 big building and I didn't quite catch the
6 technology they were using to I believe
7 recover the energy in that building.

8 And that was basically our tour.

9 Q Did you have the opportunity to kind of
10 get up close and personal to the side
11 walls of the quarry and see where there
12 would be seeps and see what the strata
13 looked like?

14 A Yes, sir. Within the proximity, you know,
15 not having a rock fall on your head, but
16 certainly right close to the rock face.

17 Q And just to prove what you went to some
18 extent, you and I both are, you found that
19 fascinating to see the side wall of this
20 quarry, right?

21 A Yes, sir. It was interesting, very much
22 so.

23 Q Now, with respect to Champ one of the
24 things you've pointed out in your report
25 and you said today is that they installed

1 a liner at the base of the quarry before
2 they put garbage in?
3 A Yes, sir.
4 Q what was that liner configured like?
5 A My recollection is that it was compacted
6 soil and I can't remember if they
7 described the -- I have a vague
8 recollection description of it as a cherry
9 or not a cherry tree or a Christmas tree
10 that basically those series of triangular,
11 you know, going up the side walls was
12 elevated.
13 Q So in addition to being a bottom liner
14 there was also a side wall liner on the
15 quarry wall?
16 A Yes, correct.
17 Q And this is a landfill being constructed
18 in 2015 under the subchapter D
19 regulation -- subtitle D regulations,
20 right?
21 A Yes, sir.
22 Q You can tell that the people who actually
23 know things are to my left.
24 A Just like what I didn't know what an SPS
25 was, but that's because I was Canadian.

1 Q So talk about with me for a minute. One
2 of the things you say in your report is in
3 the nature of that it was unfortunate that
4 in the case of Bridgeton Landfill that at
5 some point in time a decision was made to
6 develop the landfill without putting in a
7 bottom liner, right?

8 A Yes.

9 Q And that's because the regulations at that
10 time didn't require something like that,
11 right?

12 A And I would say it's probably because of
13 the environmental awareness at that time
14 wasn't at the same level as it is today.

15 Q Of course. But let me ask you this: When
16 the Archdiocese of St. Louis and the
17 Catholic charities who collectively own
18 the landfill, the South Quarry and got it
19 permitted, when they did that between 1985
20 and '87 and when they operated the
21 landfill during that time period, are you
22 saying that they, the church and the
23 charities were negligent for operating in
24 compliance with regulations but without a
25 liner in the quarry?

♀

1 A No, sir.

2 Q Okay. And when their environmental
3 consultant who helped them with
4 permitting, this is before anybody I know
5 was involved, when their environmental
6 consultant helped them with permitting in
7 that time frame, Burns and McDonnell and
8 created designs that were prepared to
9 govern the eventually operation,
10 construction of this landfill, are you
11 saying that Burns and McDonnell were
12 negligent?

13 A No, sir, I wouldn't.

14 Q And then finally the third party in that
15 triangle when the Missouri Department of
16 Natural Resources which had a choice
17 elected to permit that landfill to operate
18 there in the South Quarry without
19 requiring as a permit condition any clay
20 liner in the bottom of the quarry or along
21 the side walls of the quarry, are you
22 saying that the state was negligent?

23 A No, sir.

24 Q And it was simply a reflection of the
25 practices, environmental awareness,

♀

1 conditions, even analytical chemistry of
2 the day that caused that to proceed and
3 caused it not to be negligent at all?

4 A Yes, sir, I would agree with that that
5 basically I believe at the time there was
6 not the understanding of the, you know,
7 potential challenges with operating these
8 very deep and gradient landfills that we
9 know today, so I would say that it's
10 important to look at it from that
11 perspective.

12 Q Okay. And then when the State of Missouri
13 permitted the ownership of the entity
14 which held the landfill permit to be
15 transferred from the ownership of the
16 Archdiocese of St. Louis and these
17 Catholic charities to a private company
18 whose name in 1987 was Laidlaw?

19 A Yes.

20 Q Are you saying that in some way that the
21 state was negligent in not conditioning
22 that transfer of ownership on some change
23 in operational practices like putting in a
24 new liner above the waste or putting in a
25 liner from then on along the side walls of

♀

1 the quarry?

2 A Yeah, I would say that process I'm not
3 sure where, you know, subtitle D timing
4 kicked in probably.

5 Q It's pre-87?

6 A Pre-subtitle D?

7 Q Yes?

8 A Yeah, then definitely not.

9 Q And for laid how which now owns the
10 subsidiary that had had a permit already
11 for this landfill and had had no
12 conditions attached to its permit when the
13 ownership of the company was transferred
14 from the church, for Laidlaw it was not
15 negligent either to operate in accordance
16 with their permit?

17 A I would say that's reasonable, yes.

18 Q And when the state had the opportunity to
19 consider whether or not to attach new
20 conditions to the permit at the time
21 Laidlaw as a company was acquired by
22 another company called Allied waste, do
23 you say that the state was in some way
24 negligent in not conditioning that
25 ultimate transfer of ownership on changing

1 existing permit conditions?

2 A I think that at some point that there is a
3 need to sort of recognize the advances of
4 science and look at the long-term, you
5 know, management, liabilities of these
6 ingradient facilities especially if they
7 rely on pumping and, two, make sure that
8 one way or another that the public is
9 protected from assuming those liabilities
10 in the post-closure period and as to when
11 that should happen I, you know, I'm not
12 sure -- I wouldn't call it negligent, but
13 I think there's a social need to recognize
14 that.

15 Q Because that's the state's job?

16 A Yes.

17 Q And so among the parties you might fault
18 is you might fault the state for not
19 conditioning that ultimate transfer of
20 ownership on some additional permit
21 conditions?

22 A Yes, I would say it's important to always
23 keep conditions up to date and, you know,
24 I'm involved with the government in
25 British Columbia, for example, rewriting

1 our guidelines and regulations to make
2 them current.

3 Q Now, I understand I'm trying to verify
4 what you're saying. I'm not
5 incorporating, adopting or agreeing with
6 what you just said. I just want to make
7 sure it's clear. So I understand what
8 you've said, now, here's my next question:
9 Do you know of any involvement by the
10 company called Republic Services with
11 Bridgeton Landfill at all at a time when
12 the landfill was owned by a subsidiary of
13 one of its competitors.

14 Allied was a competitor of Republic
15 up until December of 2008. Do you know if
16 anything Republic had to do with that
17 landfill at all prior to 2008, prior to
18 December of 2008?

19 A I'm not aware of anything, but I don't
20 know the history.

21 Q It would surprise you if they were
22 involved --

23 A Yes.

24 Q -- in a competitor's landfill, wouldn't
25 it?

♀

1 A I would think so.

2 Q And I don't know how much information has
3 been shared with you, but do you have any
4 reason to say that there was some
5 information at the time Republic acquired
6 Allied waste in December of 2008 that
7 actually said to Republic there is some
8 reason to expect extraordinary costs at
9 this closed landfill called Bridgeton?

10 A I would say that this would have been
11 2008?

12 Q December of 2008.

13 A Yes.

14 Q December 5, 2008.

15 A So fairly current in terms of the
16 transaction I would have assumed that
17 Republic would have evaluated the
18 long-term maintenance risks on such a
19 facility. I expect they did but probably
20 would not have foreseen SSSER-type
21 calamity.

22 Q And when you say you would expect them to
23 acquire some information about sort of the
24 long-term financial position, what you're
25 talking about is sort of odor

1 transactional due diligence if you acquire
2 a company which has as its business a
3 portfolio of operating and closed
4 landfills?

5 A Yes, basically in our industry, especially
6 closed landfills I would say are
7 considered as liabilities rather than
8 assets.

9 Q Of course.

10 A And acquiring a portfolio a number of
11 these Republic would have done its due
12 diligence and assessed the likely
13 post-closure care costs on each of those
14 facilities and factored that in their
15 purchase price for Allied.

16 Q And you know that in today's world private
17 companies of size that are involved in
18 landfills try to predict what their
19 forward costs will be so that they can
20 make appropriate provision and disclosure
21 and reserve and that sort of information
22 is exactly the kind of information you
23 would expect Republic to look at?

24 A Yes, sir.

25 Q And so I want to pick up on something you

1 just said and that is that closed
2 landfills really aren't assets, they're
3 liabilities. That's because they have no
4 revenue nor any anticipation of any,
5 right?

6 A Yes.

7 Q And because they have care obligations
8 that will condition for lengthy periods of
9 time and could change?

10 A Yes.

11 Q Now, one of the questions I've always had
12 in this case is how it is anyone's claims
13 that Republic has been bestowed a
14 financial benefit from any of this. Do
15 you know of any way of how Republic has
16 been bestowed a financial benefit from
17 anything connected in any way, shape or
18 form to Bridgeton Landfill?

19 A I'm not aware of anything in -- I think
20 my, you know, expertise is way outside
21 that sort of information.

22 Q We talked yesterday about some statements
23 you made in your expert report concerning
24 the level of experience of Dave Vasbinder
25 when he was the environmental manager of

♀

1 Bridgeton Landfill during this important
2 time frame between say December of 2008
3 and December of 2010.

4 was there anyone else whose
5 experience you were commenting on in
6 actually the Republic Services family of
7 companies other than Mr. Vasbinder's in
8 making that comment?

9 A No.

10 Q Okay. So, for example, you weren't
11 judging the level of experience, knowledge
12 or expertise of, say, Dave /P*EPB at
13 Republic corporate who became sort of a
14 manager of landfill gas operations with an
15 oversight role? Spelling?

16 A No, sir, my expression there was strictly
17 limited to the information I read in the
18 deposition of Mr. Vasbinder.

19 Q Okay. Did you actually watch any of the
20 video of that deposition?

21 A No, sir.

22 Q So you don't feel like you've met him face
23 to face?

24 A No.

25 Q You read what he said?

♀

- 1 A Yes, sir.
- 2 Q Could I ask to turn, please, to page 2?
- 3 A 2?
- 4 Q Of Exhibit 1, your report. I'm interested
5 in the paragraph that says LFCI's report
6 is based on personal knowledge and
7 experience gained on the above assignments
8 as well as a detailed but not all
9 encompassing review of available
10 information supplied by the Attorney
11 General's office and the three day site
12 visit. Did I read that accurately?
- 13 A Yes, sir.
- 14 Q Is that where you got your information,
15 all of your written information about
16 Bridgeton Landfill itself came from the
17 Attorney General's office?
- 18 A Correct, except for a few searches on, you
19 know, on stuff available on the internet.
- 20 Q Okay. And then you weren't able to get it
21 all reviewed. Is that -- you did tell me
22 that yesterday, right, you weren't able to
23 get all the information they gave you
24 reviewed?
- 25 A Oh, I would say nowhere near. The amount

♀

1 was just overwhelming. That's one of the
2 challenges I had balance reviewing data
3 versus try to write a report.

4 Q Does that refer to just you or does that
5 refer to Dr. Abedini and whomever else
6 helped you?

7 A I would say predominantly myself in the --
8 I believe Dr. Abedini's tasks of sort of
9 providing the analysis of the gas data was
10 manageable, yes.

11 Q He had less to do than you?

12 A Yes, sir, I would say that's correct.

13 Q Because for the most part what he needed
14 to do could be handled with the SCS
15 database and a map?

16 A And I think I relied on his experience in
17 essentially assessment of operations and,
18 you know, balance gas concentrations
19 oxygen levels and the like.

20 Q Was there anything that Dr. Abedini helped
21 you with on this project other than the
22 landfill gas information?

23 A And certainly I relied on him for all the
24 field sampling that I didn't really have
25 any significant knowledge of at all.

♀

- 1 Q Of course. So when you went to the
2 landfill and somebody had had to go and
3 collect some gas samples in SUMMA
4 canisters and using some field devices
5 halves Dr. Abedini and not you?
6 A Yes.
7 Q If I could ask you to turn to page 7 of
8 Exhibit 1.
9 A Yes.
10 Q On page 7 you at the top in the first
11 paragraph you contrast the design of Champ
12 with its liners and leachate collection
13 system on the one hand and Bridgeton on
14 the other.
15 Have we fairly and fully discussed
16 that comparison now as you intended to
17 describe it?
18 A Yes, sir.
19 Q Okay. This always happens to me. I make
20 all these grand plans for how a deposition
21 is going to go and when I go back and look
22 at my note I've acted entirely so forgive
23 me if I go through this page by page and
24 find things I've already asked.
25 A No problem.

♀

1 Q I would like you to ask you about section
2 2.4 of your report, though. It's on page
3 15 and I mention in the first paragraph
4 under the heading groundwater
5 hydrogeology. You start out by saying the
6 massive landfill formation I'm sorry the
7 massive limestone landfill you say the
8 massive limestone landfill formation is
9 relatively impervious have I read that
10 correctly?

11 A Yes, sir.

12 Q When you're saying about the massive
13 limestone you're talking about the side
14 walls?

15 A The lower side walls, yes.

16 Q And when you say is relatively impervious
17 what you were referring to is that being
18 rock it is so dense that unless there is
19 some special route it's kind of hard for
20 water to get through it at all?

21 A Permeability is a very essentially a
22 relative thing that varies over I believe
23 something like 12 orders of magnitude in
24 the natural geologic from the limestone
25 down to unfractured bedrock, right, and so

♀

1 certainly my understanding is that the
2 massive limestone formation and I believe
3 it's called the St. Louis is relatively
4 limited fracture (phonetic).

5 what I saw at the Champ Landfill
6 kind of confirmed that that there's only
7 the odd rusty area where there were some
8 fractures that are sort of leaking water
9 into the formation. I'm aware of those
10 fractures and where the amount of water
11 seepage is tiny.

12 Q sure. And if the people that are making
13 the factual decisions about this case want
14 to appreciate what you're saying, a good
15 way to drive in Missouri during the winter
16 when it's really cold outside and if
17 there's been some rain nearby recently
18 you'll see -- you'll see ice actually
19 forming out of the side wall of limestone
20 where there's been a road --

21 A Yes, that would probably be an excellent
22 visual.

23 Q And when you say groundwater seepage does
24 occur through fractures, that's exactly
25 what you're talking about?

♀

- 1 A Correct.
- 2 Q Another thing you say is but the bulk of
3 groundwater flow occurs in the overlying
4 overburden and possibly in the near
5 surface weathered and fractured bedrock.
6 Let me cover the last part first.
7 Weathering is simply the erosion of rock
8 over time generally as water has passed
9 next to it so it basically creates
10 separation between two rock layers?
- 11 A I kind of describe that slightly
12 differently. weathering is essentially
13 the permeation of water and organic acids
14 and other physical freeze/thaw processes
15 to kind of break up the rock mass and make
16 it less intact.
- 17 Q Fair enough. I did have one question
18 about these two formations the St. Louis
19 formation and the Salem formation. Do
20 they consist of essentially interbedded
21 layers sequentially of limestone, shale,
22 limestone shale?
- 23 A From what I understood, there's a sort of
24 more -- I'm trying to remember the correct
25 word to use, but sort of more shaley or

1 maybe even a shale at the base of the
2 Champ quarry, but the upper formation
3 predominantly are fairly massive limestone
4 units.

5 Q And that's usefull because the shale is
6 very dense and provides a liner?

7 A I would say that for my understanding it
8 was more that the shale is a lower value
9 material that's not useful for, you know,
10 road building and limestone cement or
11 whatever they use the limestone for and so
12 the excavation terminated at that level.

13 Q Do you know what elevation it is?

14 A In Champ quarry I do not. I would sort of
15 speculate it sort of seemed, you know,
16 several hundred feet deep, so I would
17 assume it's fairly close to what Bridgeton
18 is.

19 My understanding is that the geology
20 here is pretty much pancake with
21 relatively low gradient.

22 Q I did have that question.

23 You talk about how sometimes there
24 can be things that will change geology
25 across a fairly small area, but that

♀

1 doesn't seem to be between Bridgeton and
2 Champ. I wondered how you knew.

3 A I recollect reading somewhere that the
4 area here the geology is relatively flat
5 lying and there aren't in the immediate
6 area sort of folds or faults. I don't
7 recollect exactly I've reviewed a lot of
8 geological reports in there somewhere I
9 grasped that information.

10 Q One of the questions we've asked
11 groundwater experts in this case who were
12 hired for groundwater purposes is whether
13 there are any water wells between the
14 landfill and the Bridgeton landfill and
15 the Missouri River. I didn't see a report
16 on that topic. You haven't researched
17 that topic?

18 A I have to some degree.

19 Q Okay.

20 A And I came across a description I
21 understood that the city of St. Louis and
22 most of the communities gain their water
23 from the river, but I came across
24 information that there is a district
25 called I believe it's St. Charles District

♀

1 No. 2 that draws their water from deep
2 groundwater wells, but the location of
3 where those wells are located I don't
4 know. I just remember hearing that St.
5 Charles I think was either the area around
6 Bridgeton or somewhere close.

7 Q Is it across the river?

8 A It could well be. I don't know. I just
9 know it's sort of near the vicinity.

10 Q And are the deep -- you're not saying the
11 deep wells are physically located between
12 Bridgeton Landfill and the Missouri River?

13 A I don't know.

14 Q And so since you don't know that do you
15 know of any wells that are in fact
16 situated between Bridgeton Landfill and
17 the Missouri River?

18 A I'm not -- I don't know.

19 Q And groundwater flow isn't always
20 continuous and simple, but there are
21 regional flow directions across areas and
22 the regional flow direction from Bridgeton
23 is gently towards the Missouri River?

24 A Westward, yes, sir, that's my
25 understanding.

1 Q Is it somewhat northerly as well as
2 westerly?

3 A That level of detail I am not able to --
4 because most of the information I've seen
5 is sort of cross-section or word
6 descriptions in a report and I just have
7 the recollection it was towards the river,
8 but specifically I don't recollect. And
9 there may be something in my words that I
10 copied it from the report at the time that
11 provides more specifics, but...

12 Q Give me a second, please. Okay. If I
13 could keep you on page 15. In the fifth
14 full paragraph on the page which begins
15 "the water level in Bridgeton" do you see
16 that?

17 A Yes.

18 Q You say was controlled by four vertical
19 pumping towers LCS 1 through 4. Is that
20 the number of leachate collection devices
21 that you're aware of?

22 A I understand that there are also a number
23 of these gas sort of two phase gas
24 extraction wells that provide some of the
25 de-watering.

♀

1 Q The dual extraction wells?

2 A Yes.

3 Q Okay. So up until say December of 2010,
4 you're aware, are you not, that Bridgeton
5 Landfill, in fact even for some years
6 after, that Bridgeton Landfill was
7 permitted to dispose of collected leachate
8 by simply discharging it untreated into an
9 inlet to the sewer system?

10 A I understood that yes, that it was -- I am
11 aware of that.

12 Q Okay. And then in the next paragraph in
13 the middle of the paragraph, you say that
14 you refer to "the regional water table
15 level which was historically about 400
16 feet above sea level in the surficial
17 aquifer. Do you see that line?

18 A Yes, it actually says 430 feet.

19 Q If I didn't say it right I meant to.

20 Let me read it again that the
21 regional water table level which was
22 historically about 430 feet above sea
23 level in the surficial aquifer. That's
24 your words?

25 A Yes.

♀

1 Q And unless it were affected by pumping,
2 that regional water table level would
3 exist across Bridgeton Landfill?

4 A Yes. My sort of understanding is that on
5 the east side of landfill there's some
6 Foothills and the level is slightly higher
7 maybe 460 and then it slopes towards the
8 river and then in the west side it would
9 be at that 430 foot level.

10 Q So that surface feature that you described
11 could actually result in higher levels
12 like the North Quarry?

13 A Yes, and to the east of the landfill.

14 Q Sure. I'm interested in this: If I could
15 turn you to page 18.

16 A Yes.

17 Q At the top it says the most recent
18 sampling conducted by MDNR's consultants
19 indicate that water levels in bedrock on
20 the east side of the landfill are found in
21 elevation of 460 to 470 feet above sea
22 level while water levels on the west side
23 to be at 330 to 430 above sea level.

24 First of all did I read that accurately?

25 A I believe so yes.

♀

1 Q who are you talking about?

2 A So I believe that the Attorney General's
3 office has a team of specialists that have
4 been looking at the perimeter wells and
5 doing sampling and interpretation and
6 again I'm very poor at remembering the
7 names of the people that I've actually
8 talked to, but the person leading that
9 program is the person I'm talking about.

10 Q Okay.

11 Now, give me a moment, please. I
12 want to refer to page 23, first full
13 paragraph. Do you see in the first full
14 paragraph you refer to specific chemical
15 constituents which are contained in a
16 leachate sample recently collected for the
17 Attorney General's office?

18 A Yes, sir.

19 Q Have you seen other leachate chemistry
20 information from all the leachate sampling
21 the landfill has been doing for a long
22 time?

23 A I'm trying to recollect if -- I have a
24 vague recollection of scanning through
25 some in the data set, but I was not very

1 focused on it because at the time I was
2 more focused on landfill fire and --

3 Q Was there some reason that you thought
4 this sample that the Attorney General's
5 office had taken was more representative
6 of the leachate than all the sampling the
7 landfill has been doing for a long time?

8 A No, it's just convenient and available, so
9 I looked at it as a typical representation
10 of leachate.

11 Q It was handy?

12 A Yes.

13 Q And you drew some comparison between
14 leachate chemical values and EPA drinking
15 water standards, didn't you?

16 A Yes, sir.

17 Q Did you know that those drinking water
18 standards are typically based on judging
19 risk posed by a lifetime of consumption of
20 water by an individual for a very long, a
21 very long life?

22 A I know there are certain risk base
23 processes that the regulators use to
24 determine their levels and they're
25 designed to be safe to protect the public

1 long term. Exactly what those criteria
2 are I do not know.

3 Q So you don't know anything about what EPA
4 uses to be conservative as the weight of
5 the person or the amount they drink or the
6 number of years they drink it or the fact
7 that they never use bottle water ever ever
8 and they always drink from the faucet and
9 they've never gone from their house, none
10 of that?

11 A Just very peripherally, in my company we
12 basically as probably most consultants
13 we just look at the numbers that the
14 regulators provide and try and stay within
15 those boxes.

16 Q They give you numbers from their lab --

17 A If they're over, we're in trouble and if
18 we're under, we're good.

19 Q Without getting into how EPA comes up with
20 its values in my experience people who
21 drink leachate do it once and never again.
22 Has that been your experience as well?

23 A I would say that -- I would try never to
24 drink leachate.

25 Q I would, too. There is no regulatory

1 basis for comparing leachate chemistry
2 levels to drinking water standards, is
3 there?

4 A Except if that leachate gets into the
5 environment.

6 Q Right, but then you test groundwater and
7 not leachate?

8 A Yes.

9 Q So I get it. I get taking a pail and
10 dropping it into the groundwater, taking a
11 sample, sending it to the lab and holding
12 it up to the drinking water standard. I
13 understand that.

14 I don't understand doing it for
15 leachate and I wondered if you had some
16 reference material you were relying on in
17 treating that as if it were relevant.

18 A Basically the point that and particularly
19 in a situation like where you have a very
20 large, you know, mass like this South
21 Quarry that if there's an egress of
22 leachate into a fractured bedrock mass,
23 I would imagine that the amount of
24 dilution that occurs along the flow path
25 certainly within the fractured rock mass

♀

1 portion of that flow path would probably
2 be fairly limited and so that the
3 difference between groundwater and
4 leachate would be not very significant.
5 And that's, I believe, you know, why I'm
6 flagging that because particularly again
7 for the South Quarry I feel that there's a
8 compliance point, you know, in very close
9 proximity to the quarry walls and that
10 in my mind that the concentration of the
11 water at that compliance point, if there
12 was an outward gradient occurred we would
13 probably be very similar to the leachate
14 chemistry that we see here.

15 Q All right. And one thing you referred to
16 that I would like you to clarify for me.
17 You refer to chromium at 1.4 times the
18 drinking water limit. Are you talking
19 about total (phonetic) /KRO*EPL spelling
20 /(?

21 A That part, I had my hydrogeologist David
22 crick (phonetic) actually do that
23 assessment (spelling) and provide me with
24 the comparison to the data, so that one I
25 would have to ask him exactly what he did.

♀

1 I do understand there's two of chromium
2 and one is much more toxic than the other
3 and I don't know how that assessment was
4 done.

5 Q So you don't know whether this is
6 hexavalent, trivalent or total?

7 A I do not.

8 Q You realize that if the sample is either
9 trivalent or total and the drinking water
10 standard is hexavalent, then the
11 comparison is not apt (phonetic)?

12 A Correct.

13 Q And you don't know if it's right or wrong?

14 A That would be an appropriate comment.

15 Q So tell me what -- let me ask you how much
16 of this information you have. How much
17 have you done to come to an understanding
18 of how the people who used to own westlake
19 landfill I'm not talking about a company
20 or a church, the people back in 1973 who
21 owned it came to be in possession of some
22 low level radiologically impacted
23 material?

24 A I was interested in that and researched
25 again and I learned that there was

♀

1 basically evolved from a Manhattan project
2 and there was different levels of
3 radiological material and I believe ended
4 up and some property on the airport lands
5 here and there was a move different
6 cleanups and that material was relocated
7 to much more secure facilities I believe
8 in Colorado and then the leached was it
9 barium sulphate or whatever that material
10 that contained I believe it was barium
11 sulphate contained some low level
12 radiologic and in order to clean that up
13 it was determined that it would be mixed
14 together with a bunch of top soil and then
15 brought into the westlake landfill, as I
16 understood it and used as operational
17 cover in the landfill to barium as
18 operational cover is used for sort of
19 daily intermediary cover. That's
20 basically my limited knowledge of that
21 cover.

22 Q Let me start from your historical
23 perspective and try to distinguish the
24 conduct of two parties neither of which is
25 my client.

♀

1 On the one hand there is Cotter
2 Corporation which is a corporation in the
3 uranium processing business in Colorado
4 that happens to have purchased some rare
5 earth metals, has some left over, needs to
6 get rid of it and /C mixes it with top
7 soil with a place called Laddy Avenue
8 (phonetic) and has a contractor take it to
9 a landfill owned by a couple of families
10 of people spelling and gives it to them
11 for free as a kindness to be utilized as
12 cover dirt which to a landfill in a quarry
13 is gold. That's one party on the one
14 hand. The.

15 And assume no small company. This
16 suspect is a subsidiary at the time of the
17 petroleum company that was then called
18 arco and is now part of BP. M'hmm?

19 Q That's one party. The other parties are a
20 couple of families who together own a
21 quarry and have been operating a landfill
22 in the quarry and are happy to receive
23 clean dirt because that's nice and don't
24 know anything about low level radiologic
25 material and are tricked into accepting

♀

1 this radiologic material about which they
2 know nothing.
3 A M'hmm.
4 Q would you consider either of those parties
5 to be culpable?
6 A I would say that certainly if not legally,
7 then morally, yes. I don't know the laws
8 of your states other than I believe
9 there's some like in terms of I know in
10 the States it's called superfund that if
11 waste is deposited in a facility and, you
12 know, causes grief that the waste
13 generators themselves are ultimately
14 responsible for that material.
15 Q So you're refer to Cotter?
16 A That's how I would track the waste, yes,
17 but I would like to sort of qualify that
18 really. I probably shouldn't even offer
19 an opinion because I know nothing about
20 this stuff.
21 Q I think you're permitted to offer that
22 moral opinion.
23 A Yes.
24 Q And so my question is going to be Cotter
25 was then owned by arco, changed hands, got

1 sold. Became a subsidiary of a company
2 called Commonwealth Edison that is now
3 part of a nuclear company called Exelon
4 (phonetic) and they had it for a while and
5 then Cotter was sold to another company
6 called general atomics. Don't you think
7 the Attorney General, if he's mad about
8 the radiologic material ought to be going
9 after Cotter in some way?

10 MS. WHIPPLE: Objection. Form. Argumentative.

11 THE WITNESS:

12 A Again, I believe that's beyond the scope
13 of what my report was that it would be all
14 just sort of ethical and questions that I
15 feel that I shouldn't be asked to really
16 comment on.

17 MR. BECK:

18 Q And I credit you with saying you feel like
19 you shouldn't be asked, but you have been
20 and I know that it's outside your report
21 and I may even be asking you to be make a
22 normative judgment, but I am. So what's
23 your normative judgment?

24 MS. WHIPPLE: Same objection.

25 THE WITNESS: Try the question again.

♀

1 MR. BECK:

2 Q If the Attorney General is mad about the
3 radiologic material, shouldn't he be doing
4 something with Cotter?

5 A well, I would say that if a party
6 illegally deposited material on a property
7 that that party should be to some degree
8 responsible, if not all, for trying to
9 clean that material up. But again as a
10 layperson and just basic ethical
11 principles and that's where I'm going to
12 limit my comments to.

13 Q And I'm going to stop talking about Cotter
14 except to ask a single question and that
15 is: By any chance have you been retained
16 by the Attorney General of Missouri to
17 provide expert assistance to them in going
18 after Cotter?

19 A No, sir.

20 Q
21 (Discussion off the record)

22 Q So if you could turn to section 2.7 of
23 your report and, in particular, the top of
24 page 24. Look at the first full paragraph
25 on the top of 24 and don't describe it for

♀

- 1 me, just see if I'm capturing your point.
- 2 water moves from higher elevation to
- 3 a lower elevation. It would be a really
- 4 good idea to look at the water elevation
- 5 under the westlake superfund site with the
- 6 radiologic material as compared to the
- 7 groundwater elevation in the North Quarry
- 8 to see if there is a migration pathway
- 9 from westlake to the North Quarry?
- 10 A That's what I'm sort of outlining there,
- 11 yes, sir.
- 12 Q Have you acquainted yourself with the
- 13 groundwater monitoring that has been
- 14 conducted by EPA across the entire site,
- 15 not just OU-1, not just the westlake
- 16 portions but Bridgeton Landfill, South
- 17 Quarry, North Quarry, all of it, on many
- 18 occasions in the last few years, at least
- 19 four different realms of groundwater
- 20 sampling in the last couple of years to
- 21 determine whether or not there has been
- 22 any leaching and subsequent migration of
- 23 radionuclides from material at westlake?
- 24 A No, sir.
- 25 Q And so if they have had done quarterly

1 samples of that, that would be a good
2 thing in response to the concerns you have
3 raised?
4 A In terms of the both the water levels and
5 chemistry?
6 Q Yes, sir.
7 A Yes, I would say that would be reasonable.
8 Q If the water actually moves from westlake
9 to the North Quarry, that would be the
10 opposite of the regional direction of
11 groundwater flow, wouldn't it?
12 A My impression is it would be at 90
13 degrees, but if I could just have a --
14 Q No, that's okay. I'll stay with that.
15 A Okay.
16 Q Even if it's 90 degrees, water doesn't
17 move that way, right?
18 A well, just if I may sort of draw a mental
19 picture that basically my understanding of
20 typical regional groundwater flow is from
21 east to west towards the Missouri River
22 and then you've got basically here are the
23 quarries and then you've got westlake
24 landfill here which I believe is somewhat
25 topographically at the water table

1 elevation higher than the water level
2 although I'm not 100 percent sure because
3 all the data I saw was limited to the
4 North Quarry water levels and so that was
5 my question is, you know, is that water
6 level is there a mound within the westlake
7 landfill that would be driving groundwater
8 flow towards the North Quarry or not? And
9 I would imagine there's probably
10 information on that.

11 Q well, there's two questions and maybe
12 regional health doesn't help us with. The
13 first one question is do radio leech from
14 the barium sulphate, right?

15 A That would be an important consideration,
16 yes.

17 Q Because if it has already been leached so
18 much that they don't, then you shouldn't
19 have migration of groundwater contaminants
20 via leachate to groundwater?

21 A Yes. If they are static, you wouldn't
22 expect that they would stay there.

23 Q But if there has been some leaching of
24 groundwater contaminants since back in
25 1973 when this material was given to those

♀

1 families who owned the landfill then, then
2 you would look at from time to time what
3 have been the directions of groundwater
4 flow which you would determine entirely by
5 comparing water level measurements taken
6 at the same time as close in time as
7 possible between the two locations because
8 the water will flow from the higher
9 elevation to the lower elevation?

10 A Yes, sir, and that may be somewhat of a
11 dynamic because whenever you do that water
12 level measurement at a snapshot in time
13 and there may be things like pumping or,
14 you know, infiltration of runoff that
15 might radically change that flow pattern
16 historically.

17 Q Right. The conditions are potentially
18 dynamic enough that, for example, it would
19 be a mistake to compare the groundwater
20 levels at two sampling points that were
21 taken even two weeks apart because you
22 wouldn't get the contemporary matchup that
23 allows you for the flow?

24 A I'm thinking that there's typically small
25 fluctuations seasonally that's the biggest

1 thing and then there's much larger
2 fluctuation whenever man disturbs a
3 natural and puts in a sedimentation pond
4 and adds a lot of water.

5 Q But, for example, and you are you consider
6 yourself a groundwater professional?

7 A Yes, I would.

8 Q And you wouldn't take a water level
9 measurement in one place on day one and
10 try to compare that to a water level
11 measurement taken two weeks later at
12 another point and treat them as a basis
13 for inferring direction of flow in a
14 dynamic environment like this?

15 A In my mind, two weeks unless there's a
16 radical change in the ground conditions I
17 feel is probably not huge a difference.
18 My experience is that water levels in the
19 groundwater flow system basically
20 oscillate, you know, seasonally over
21 months and so ideally it would be closer,
22 but I wouldn't want to offer a huge
23 opinion or be extremely concerned over a
24 two-week gap.

25 Q But to look at the factors that would be

♀

1 most important, what you would want to
2 look at is is during those two weeks was
3 there precipitation and during those two
4 weeks was there pumping, right?
5 A Those would be potentially things that
6 could affect if it there was a big change
7 in pumping for example if a well pumped
8 600 gallons a minute and then gets cranked
9 up to 5,000 gallons a minute yeah,
10 something like that could change the --
11 Q Sure. In 2.8, still on page 24, you
12 express the understanding that Bridgeton
13 Landfill received and we talked about this
14 a little bit yesterday, petroleum or
15 hydrocarbon contaminated soils?
16 A Yes. Could you please.
17 Q Still placement 2.8 it is our
18 understanding that Bridgeton Landfill
19 received hydrocarbon contaminated soil.
20 Do you see that?
21 A Yes, I do.
22 Q I'm just wondering where you got that.
23 There's no reference cited here and I'm
24 not sure where you -- I'm not saying it's
25 true. I just want to know --

1 A Yes. It would have been in reviews
2 specifically I don't recollect where I
3 read that information, but typically
4 everything in the report I read somewhere,
5 and predominantly from the, you know,
6 material provided by the Attorney General.
7 I would have to spend a lot of hunting to
8 figure out exactly where that came from.

9 Q And the rest of that sentence says "and we
10 anticipate that this it material was used
11 for intermediate cover purposes as this is
12 a common practice in landfills". Is that
13 based on just an assumption or is that
14 based on some regulatory document that you
15 were given to look at that you just don't
16 remember to?

17 A No, it's just my experience in landfills
18 in British Columbia that will accept
19 treated hydrocarbon cleanup waste as a
20 cover material. It's sort of a low
21 essentially that same sort of free cover
22 material that you mentioned that was
23 unfortunate, low level radiological waste.

24 Q And if you look at Section 2.9 just below,
25 you do say "last sentence "in 1994 Laidlaw

♀

1 requested authorization to use
2 contaminated soil for daily and
3 intermediate cover."
4 A Yes, sir.
5 Q Now, do you remember there was in fact a
6 regulatory reference to that then?
7 A I would have read that in the
8 correspondence, you know, went through the
9 history and I encountered that
10 authorization. At the time I was trying
11 to track down the fire history and read
12 all the documents and I sort of flagged
13 that as I came across it.
14 Q One of the obligations I have here in this
15 deposition is to figure out what things
16 you survey are based on. Can you point me
17 to a document that's based on?
18 A I would have to basically dig through my
19 files and find that document for you,
20 unless it's -- there is a possibility that
21 in that table that table that listed all
22 the historical stuff I'm not sure in which
23 case it would have a Bates number.
24 Q Okay. well, what's the importance of
25 anything in 2.9?

1 A Basically.

2 Q It just seems like old news. I'm trying
3 to figure out why you say it.

4 A I think it's to relate to the basis that
5 on my hypothesis that condition of the
6 SSSER was initiated by overdraw of -- of
7 the gas system that would assisted by lack
8 of soil cover and historically relating to
9 the earlier fires that were experienced at
10 the landfill dating back a long time. So
11 that's where I felt it was kind of --

12 Q First of all you put an S on fire when you
13 said earlier. You're talking about the
14 fire that occurred at the side wall of the
15 quarry in 1992 and some some time to
16 extinguish?

17 A Yes, sir, that I'm sort of reading the
18 history of that incident. It wasn't clear
19 to me whether there were two fires or one.
20 There was an event in 1992 and a breakout
21 in had 1994 and I'm not sure. In my mind
22 I almost felt like they were two different
23 things, but I recollect somebody
24 concluding at some point that the other
25 one wasn't and I wasn't essentially sure

♀

1 if that's -- you know, if I was going to
2 buy that comment or not.

3 Q Do you know do you know if that's one or
4 two events?

5 A I do not know. I just flagged what I read
6 and it was kind of interesting that people
7 debated whether it was one or two.

8 Q If one of our experts was somebody who
9 fought that fire, would that be useful
10 information to you?

11 A It would be interesting, yes.

12 Q And so with respect to that, do you know
13 how that fire related to the installation
14 of the active landfill gas system then
15 around 1992?

16 A My understanding of the installation of
17 the gas system was predominantly driven by
18 trying to control odors from the facility.
19 It was sort of what I.

20 Q who told you that --

21 A I interpreted.

22 Q where did you find that?

23 A Maybe that was a -- I'm not sure if I'm
24 mixing up my dates or whether there was
25 such additional future gas extraction

1 systems that were for that purpose.
2 Q we're here and I can only ask questions.
3 Do you know of any basis for that
4 statement?
5 A That the initial gas extraction system was
6 driven by overcontrol?
7 Q Yes, sir.
8 A Specifically, not without going back to
9 all my notes.
10 Q Okay. And to the extent this discussion
11 of stuff up to and in July of 2004 in that
12 section of your report relates to cover,
13 it wouldn't really help us know much about
14 overdraw in the 2008 to 2010 and later
15 time period if in between after 2004 and
16 after the landfill stopped receiving waste
17 a final cover was placed over the
18 landfill, right?
19 A In had general, yes, with the exception
20 that in my experience that, you know,
21 having significant fire breaks within the
22 phases of a landfill can prevent migration
23 of lateral spread of situations. From
24 that context I think it's important to
25 understand if there are, you know,

♀

1 significant barriers, for example if there
2 was a big burn between the North Quarry
3 and the South Quarry if there was inert
4 material that would be very significant
5 and could prevent migration.

6 Q well, I see three things in this paragraph
7 about cover. One is is that there was an
8 inspection report in December of 1992
9 where there was inadequate cover?

10 A Yes.

11 Q Needed to be dealt with. Do you have any
12 reason to think that wasn't dealt with?

13 A No.

14 Q And the next is a 1994 inspection by the
15 Department of Health noting that
16 settlement had occurred, had opened up
17 fissures along the quarry wells and that a
18 leachate collection wells was exposed and
19 venting and that there was a hole with
20 fissures in whatever is called pit 1 that
21 was venting gas. Do you have any reason
22 to think that those inspection items
23 weren't brought to the attention of the
24 landfill and prepared?

25 A Not at all. The reason I basically

1 incorporated that information to me I find
2 that if a problem historically develops
3 that it provides us with some learning
4 opportunities and also what could happen
5 in the future and so basically just to
6 emphasize that there's, you know, when you
7 get settlement and active combustion that
8 these soil covers come under stress and
9 open up contraction and fissures and open
10 up oxygen into the landfill.

11 Q Okay. And what does that help?

12 A Well, I was thinking in terms of the
13 situation that started in 2010, 2011 with
14 the reaction and prior to the EVOH cover
15 being placed on it that you're in sort of
16 the same situation where you have a
17 subsurface reaction possibly, some air
18 being drawn in with the operation of the
19 gas extraction system to control odors and
20 so that's where I was drawing the
21 parallel. I felt it was important.

22 Q I have to change the tape, but why don't
23 we just keep track of where we are. But
24 when we come back I'll just ask you to
25 read where we are so I don't lose it?

♀

1 THE VIDEOGRAPHER: Going off record. This is the
2 end of media Unit Number 3. The time is
3 3:45.

4 (PROCEEDINGS RECESSED AT P.M.)

5 (PROCEEDINGS RESUMED AT P.M.) test test
6 test test test test test test

7 THE VIDEOGRAPHER: We're back on the record. Here
8 begins media unit volume 2 number 4 volume
9 2 and if I could hear back the last
10 question and answer to be where I was.

11 THE COURT REPORTER: (By reading):

12

13 MR. BECK:

14 Q Let me make sure I understand, Dr.
15 Sperling. Are you claiming that what
16 happened in 1992 to 1994 was not a fire,
17 it was a subsurface reaction?

18 A No, sir. What I'm suggesting that the
19 '92, '94 that I believe was a subsurface
20 fire however, that in experience that all
21 fires to some degree are driven by oxygen
22 intrusion and I feel that the effect of
23 oxygen should not be overlooked at
24 Bridgeton because I feel that that is to
25 some degree an unrecognized or to my mind

1 I shouldn't say unrecognized. What I
2 should probably say is concerning thing
3 that the data I'm seeing is that the
4 oxygen levels within the landfill are
5 forever increasing and that people are
6 losing the focus that oxygen intrusion,
7 you know, initiates fire situations in
8 landfills and I'm very concerned about
9 that.

10 Q Do you think the 1992 to '94 event was
11 subsurface?

12 A From what I read that yes, that there was
13 material burning, you know, deep within
14 the interface of the rock quarry wall
15 and -- and then re-appeared and the vent
16 holes developed so I interpreted that what
17 I read about was a subsurface fire.

18 Q Couldn't you just stand there and look at
19 the flames?

20 A That there was a subsurface expression of
21 it, but certainly in my experience, any
22 surface fire is typically very simple to
23 contain in a period of typically in a
24 period of weeks and it's only if you have
25 a situation where you have something deep

1 underground that, you know, the gas may
2 blow out or the exhaust gases cause
3 surface fires, but the bulk of it would be
4 underground.

5 Q One of the problems I have with getting
6 through this report is it doesn't refer to
7 much of anything. It says a lot of facts
8 but it doesn't say where they come from.

9 A M'hmm.

10 Q What reference do you rely on in claiming
11 that what happened in in the early 1990s
12 was subsurface?

13 A Basically in the timeline that I -- and
14 let me just turn to it if there is some
15 actually reference to those historical
16 events as to where they may have been
17 originated. So if someone could help me
18 out. I believe it's Table 6.2. I don't
19 remember where that timeline table is.

20 Q When you find it, just let me know.

21 A Thank you. Hang on. I'll try and go to
22 the table of contents first.

23 There's a lot of different history
24 chapters so I may have to go flipping
25 again. Peggy is trying to help me.

1 MS. WHIPPLE: Look at page 44. Is that the one
2 you're looking for?

3 THE WITNESS: That is the one, Peggy.

4 MS. WHIPPLE: Okay.

5 THE WITNESS:

6 A Okay, and so we're looking at event, okay,
7 I'm looking at basically on the left
8 there's a reference date and it's the fire
9 history event is sort of those two red
10 areas in the table and so I reference
11 these things were not Bates numbered. I
12 believe I would have got them off the MDNR
13 website and I referenced them like
14 Missouri and DNR web County health
15 inspection letter, SCS fire proposal and I
16 believe all of that information was pulled
17 off the MDNR website.

18 Q You didn't include those as appendices in
19 your report?

20 A No, sir.

21 Q But that is a list of the documents from
22 which you acquired your information as to
23 what happened in 1992, '94 is this list of
24 documents on that page in that sequence?

25 A Yes, sir and the dates are on that page so

♀

1 we would certainly be able to track down
2 the date of each one the reference.

3 Q And so the first date is September 25,
4 1992, bless you.

5 And the last page is June 22, 1994?

6 A For the 1992 event and then I had some
7 follow-up information that goes back as
8 far as March 29th, 1995 with respect to
9 the North Quarry 1994.

10 Q That refers to the time frame then from --

11 A From --

12 Q 7 27 94, no, just give me the date range?

13 A What I'm seeing here second subsurface
14 fire reported on 1994, 10 31 and then
15 North Quarry fire extinguished and that
16 was 1994 03 29.

17 Q Well, do you see in your own table that
18 you're referring to now on October 31,
19 1994 Laidlaw letter to DNR, your
20 description of the event is initial 1992
21 fire re-ignited?

22 A Yes, sir.

23 Q So your understanding it's the initiation
24 of the same fire at the same location?

25 A That's what I was extracting the words in

1 the letter and I assumed that's what it
2 says, yes.

3 Q Okay. And do you know how that fire
4 started?

5 A Not specifically.

6 Q How many fires occur at U.S. landfills per
7 year?

8 A That is a statistic I'm trying to remember
9 specifically it's actually one of my
10 papers. It is definitely a large number
11 off the top of my head I don't remember
12 exactly. I probably quote it in it my
13 report.

14 Q Isn't it true that it's on average more
15 than one per landfill per year?

16 A That would sound approximately correct.

17 Q Now, let me refer to the last sentence of
18 Paragraph 2.9. What you're saying there
19 that you looked at an old photograph that
20 goes back to 2004?

21 A Sorry, can you refer me to the page number
22 again?

23 Q 2.9, I think it's on page 24, section 2.9,
24 I think it's on page 24?

25 A I'm getting there. Yeah, I got it on 24.

♀

- 1 Q And then the last sentence of 2.9 it
2 refers to something totally unrelated to
3 everything else in the paragraph, right?
- 4 A This is sort of the last sentence in
5 Paragraph 2.9 that you're referring to?
- 6 Q Yes, it is.
- 7 A Yes, I was looking to assess whether
8 there's any indication that operationally
9 there was a history of ongoing exposed
10 waste with lack of operational cover
11 because from the context of fire
12 initiation and lack of fire breaks, that
13 was I felt an important consideration.
- 14 Q Move to strike.
- 15 Does that sentence simply say LFCI
16 noted a mottled texture in the July, 2004
17 photo that is typical of exposed MSW?
- 18 A That's what it says, yes, sir.
- 19 Q And that picture, can you give me the
20 Bates number or a better identification of
21 it?
- 22 A The photograph that's provided is
23 presented in had photo 2-2 of my report.
- 24 Q It doesn't say that in the text. That's
25 why I didn't get that.

♀

1 A Sorry.
2 Q And where is the mottled text yes or no
3 that is typical of exposed MSW?
4 A May I sort of point it out to you
5 directly.
6 Q Sure. Yeah, just tell me where the
7 picture?
8 A Basically just above this brown.
9 Q At the open face?
10 A Correct.
11 Q So there's a daytime picture of a landfill
12 in 2004 that has a mottled texture that
13 that looks like trash on the working face?
14 A I would say to me it seemed an excessive
15 area to be a simple operational act
16 of/active face /(.
17 Q You're just saying that working face looks
18 pretty big to you?
19 A Yes.
20 Q Because it's a couple of acres?
21 A Correct, if that's -- I'm just looking at
22 the scale here.
23 Q I'll give you the scale. The south Quarry
24 is 30 acres, right?
25 A Yes.

♀

- 1 Q So it's a couple of acres?
- 2 A On the order of 100 by 50 metres, yeah, so
3 half a hectare. Yeah, that would be about
4 right.
- 5 Q So on one occasion in 2004, according to a
6 photograph, it appeared to you that the
7 working face that we're using was that
8 size?
- 9 A Correct.
- 10 Q During the working day before they put on
11 daily cover?
- 12 A Yeah, based on this one photograph I
13 cannot conclude any more than there's just
14 a very large area of exposed waste that
15 seems sort of abnormal for a normal
16 landfill.
- 17 Q It's exposed because the tracks brought it
18 off and they haven't put on daily cover
19 yet, right?
- 20 A I understand that, but general best
21 practice for landfill operations is to
22 keep, you know, construct landfills and
23 keep a very small active face and in my
24 experience is this seems rather large.
- 25 Q Do you know of any condition of Bridgeton

1 Landfill's permit or provision of
2 Missouri's regulations in force in had
3 July of 2004 that contained any constraint
4 at all on the size of the working face
5 other than cover it at the end of the day?

6 A I'm not aware of any. What I basically
7 write reports in terms of assessing risks
8 and potential for fires and whatnot and
9 contemplate things as best practices, not
10 necessarily as regulations and my focus
11 here is to try and identify not things
12 that are necessarily best practices in my
13 opinion such a large active face is not
14 best practice.

15 Q Why didn't you highlight the things that
16 they did that were best practices? I'll
17 withdraw that. I'll withdraw that.

18 So I guess my question about this
19 picture of the landfill during the middle
20 of the operating day that you said had had
21 a working face that was legal, but not
22 what you would love to see, I guess my
23 question is: what made that worthy of
24 inclusion in your report?

25 A Basically what I was trying to understand

1 was the potential for essentially air
2 intrusion into the landfill and as a that
3 typically almost every, you know, landfill
4 fire project that I do is somehow related
5 to lack of operational cover and so maybe
6 I'm overfocused on that issue, but I don't
7 believe so and so I look for it
8 religiously.

9 Q Let me ask you to turn to page 26, still
10 in Exhibit 1 of your report. Sorry, page
11 26, there it is.

12 Do you see the statement on page 26
13 in the third paragraph from the bottom,
14 second sentence that says: Elevated
15 concentrations of CO are considered
16 indicative of subsurface landfill fire.
17 Have I read that accurately?

18 A Yes, you have.

19 Q Do you know of anyone other than Tony
20 Sperling who has ever said in writing that
21 concentrations of CO between 500 and 1,000
22 parts per million are indicative of fire?

23 A I believe, I have a vague recollection of
24 seeing documented information from a site
25 visit by Mr. Ed Walsh to Bridgeton during

♀

1 the initial evaluation of that incident on
2 December 23rd or thereabouts were exactly
3 the same number 500 ppm was quoted to the
4 landfill staff so yes, I say.

5 Q Ed walsh?

6 A I believe that was the document that I
7 came across.

8 Q You're not talking about Jim walsh, the
9 president of SCS?

10 A Or it may have been I suspect it may have
11 been Jim walsh.

12 Q So you think there is a document prepared
13 by Jim walsh that says CO concentrations
14 in the subsurface above 500 ppm show a
15 fire?

16 A I have again a recollection of and this
17 was the handwritten notes taken by one of
18 the staff that was present in -- at that
19 meeting and I definitely recollect seeing
20 500 parts CO as a warning of whether it
21 was subsurface oxidation or fire, I can't
22 recollect exactly, but definitely it was
23 that 500 ppm number was of significance.

24 Q I'm afraid I'm having trouble keeping up
25 with you.

♀

1 My question was did you say you had
2 seen some place that Jim walsh of SCS had
3 said in writing that 500 ppm of CO is
4 indicative of a fire?

5 A No, what I have seen is a verbal
6 instruction to landfill staff that was
7 noted in a field book and was then somehow
8 included in the documentary of this case
9 that indicates that that was the case.

10 Q And what is the title of that document or
11 its Bates number or some other way to find
12 out what the heck you're basing your
13 statements on?

14 A I would have to ask Peggy something I
15 actually just came across just by fluke
16 this morning in reviewing some of the
17 information.

18 MS. WHIPPLE: Do I have it.

19 MR. BECK:

20 THE WITNESS: It should be somewhere. I'll try
21 and dig it up.

22 MR. BECK:

23 Q Was it given to you by Ms. whipple?

24 A No, it was basically information, a disk
25 that I received probably about a week or

1 two ago from, additional information.

2 Q From the Attorney General's office?

3 A From the Attorney General's office.

4 Q So they sent it to you to read and now
5 you're telling me about it?

6 A Yes, sir:

7 MS. WHIPPLE: I don't have anything else.

8 A Oh, okay. Yeah, because I was reviewing
9 it this morning in my office. I'm not
10 sure if I felt it was important to put it
11 in a package, but yeah, I have a very
12 clear recollection of it, a scanned
13 handwritten field notes and on sort of a
14 yellow piece of paper and just just some
15 summary observations.

16 MR. BECK:

17 Q So you can't describe the document better
18 or give me a Bates number?

19 A Not immediately, no.

20 Q Unfortunately this is my one and only
21 deposition we're on day 2 and it's 4:24
22 p.m. so I'm running out of opportunity to
23 discover this from you.

24 A Okay. well, what I would say is if I
25 could take a little break and just make

1 sure that I do not have that information.
2 I would be pleased to try and maybe have a
3 quick office -- call to my office and see
4 if it's lying on my desk and see if I can
5 get a Bates number off of it.

6 MR. BECK: I don't want to because I've got too
7 many other topics to cover, I'm just going
8 to go on and and if there's something you
9 want to do, feel free.

10 Turn to page 27 if you would,
11 please, in your report.

12 THE WITNESS:

13 A Could I just would it be possible to just
14 take one second for a question with Ms.
15 Whipple?

16 MR. BECK: Yes, as long as there's not a question
17 pending, you can.

18 THE VIDEOGRAPHER: Going off record, the time is
19 4:27.

20 (PROCEEDINGS RECESSED AT A.M..)

21 (PROCEEDINGS RESUMED AT A.M.)

22 THE VIDEOGRAPHER: Back on the record. The time
23 is 4:29.

24 MR. BECK:

25 Q Dr. Sperling, are you ready?

♀

- 1 A Yes, sir.
- 2 Q On page 27 of Exhibit 1, your expert
3 report, Section 4.1?
- 4 A Yes.
- 5 Q The paragraph that starts with the word
6 "notably" do you see that it refers to the
7 Republic Services standard operating
8 procedure?
- 9 A Yes, sir.
- 10 Q Have you read that document?
- 11 A I read the basically the summary of it in
12 Mr. Thalhamer's report.
- 13 Q And so if I take issue with
14 Mr. Thalhamer's description that you have
15 now recited, I need to take it up with him
16 because you just relied on what he said?
- 17 A And I'm not 100 percent sure now if I
18 also -- I believe I also had the document
19 and reviewed it but I'm not 100 percent
20 sure. I've read so many documents that I
21 don't recollect exactly if I looked at
22 that or not.
- 23 Q well, you actually incorporated if thank
24 you turn to the next page you actually
25 incorporated his table into your report.

♀

- 1 A Oh, that I definitely did. I'm just
2 saying I don't recollect if I specifically
3 read the actual SOP document. I have a
4 vague recollection if I did but I cannot
5 100 percent guarantee.
- 6 Q So that language just describes
7 information from the table on page 28?
- 8 A That would be a certain assumption and,
9 yeah.
- 10 Q And the information that says Republic on
11 the table on 28 is not information you
12 wrote, but information that Todd Thalhamer
13 wrote and you copied into your report?
- 14 A Yes, that's noted and I had it on the
15 table.
- 16 Q And if I think there's about four
17 different ways that this misstates the
18 Republic SOP I'm?
- 19 A Yes, sir.
- 20 Q I'm going to have to take it up with him?
- 21 A Yes, sir.
- 22 Q Because you can't answer it?
- 23 A Yes, sir.
- 24 Q When you talked to Mr. Thalhamer, did he
25 tell you at any point that I was actually

♀

1 in attendance at a deposition of him?
2 A No, we had never discussed depositions at
3 all.
4 Q I just wanted to find out what he said
5 about me.
6 A Oh, yeah.
7 Q If I could ask you to look now at -- just
8 a moment -- Section 4.2 on page 31.
9 A M'hmm.
10 Q The second paragraph begins at Bridgeton
11 the final closure cap was constructed in
12 2005 and 2006, correct?
13 A Yes, sir.
14 Q And so far as you know, that is true and
15 accurate?
16 A Yes, sir.
17 Q Now, the next sentence says, however,
18 significant cracking and slumping of that
19 cap has been reported in the 2010 annual
20 financial report.
21 A Yes, sir.
22 Q I don't know what the 2010 annual
23 financial report is. Can you tell me?
24 There's not a Bates number reference to
25 it.

1 A Again, it was a report that I reviewed at
2 the time, I believe that's what it was
3 called. I believe it was a general
4 overview report to the board or to I'm not
5 sure if it was the source seemed like a
6 fairly high level report that discussed
7 all issues at Bridgeton Landfill.

8 Q To the board?

9 A I'm not sure -- like it seemed like it
10 like it wasn't intended maybe it was it
11 just seemed to me like it wasn't a
12 technical report. It was more a financial
13 overview report of possible liabilities
14 and stuff like that.

15 Q You don't think in 2010 at that time of
16 fire anyone reported anything about
17 Bridgeton Landfill to either the board or
18 the shareholders, do you?

19 A I'm just saying that the wording in this
20 the report was such it wasn't your typical
21 engineering report. It seemed to be aimed
22 at a different audience.

23 Q Audience concerned with budgetary issues?

24 A Yes, or it might have been management, I
25 don't know.

♀

1 Q Whoever it was written to, what's the
2 Bates number of that document?

3 A I'll have a quick look again at table
4 under that date I must have something.
5 Can you help me out with that date.

6 MS. WHIPPLE: 44.

7 THE WITNESS: 44, thank you.

8 A So the date is -- where are we? So we're
9 basically looking at 2010 information.

10 Okay just when I scanned all of the
11 information here, I don't seem to have
12 that noted in the time log.

13 Q I understand. Of I don't know what it is,
14 so help me with enough information to find
15 that document.

16 A Okay. I'm just trying to think how to
17 track that document down.

18 Q Were you never given instructions to make
19 a list of the documents you relied on for
20 the statements in your report?

21 A Not specific to my recollection.

22 Q And what I'm referring to is in all of the
23 interactions you've had with the Attorney
24 General's office which retained you, is
25 there no time that anyone ever said part

♀

1 of your report has to be a description of
2 the documents that you relied upon for the
3 statements in your report sufficient to
4 enable opposing counsel to find those
5 documents and test your statements?

6 A Not specifically, no.

7 Q Now, page 31 of your report, bottom of the
8 page.

9 A M'hmm.

10 Q Still Exhibit 1, says from the landfill
11 gas extraction record presented in Figure
12 4-1 it is evident that Bridgeton commenced
13 aggressive extraction of the landfill gas
14 around November, 2009 with landfill gas
15 flows increasing from about 1200 CCFM to
16 about 1700 SCFM an increase of 42 percent?

17 A Yes.

18 Q And I want to start there.

19 A Yes.

20 Q Is that based on flare flow?

21 A Sorry, is that based on.

22 Q Flare flow?

23 A Basically it's methane flow to flare 2005
24 to -- yes.

25 Q Is that methane flow or is it landfill gas

♀

1 flow?

2 A Basically it's titled methane flow to
3 flare, 2005 to 2009.

4 Q Right. I know that's what the person who
5 drew this chart called it, but does the
6 chart actually depict the total landfill
7 gas flow or does it depict just the
8 methane fraction of the landfill gas?

9 A Yeah, I would suspect it's probably total
10 gas flow but in this instance there's
11 actually a Bates number so we can confirm
12 that.

13 Q But you reviewed this and approved the
14 chart, right?

15 A Yes, sir.

16 Q And so as the person who reviewed this and
17 approved the chart, do you know whether
18 it's mislabeled by calling it methane flow
19 when, in fact, it's total flow?

20 A Without looking at the exact document, I
21 have a suspicion that typically it's total
22 flow that's logged so it would probably
23 make sense that it would be total gas
24 flow, but I would check that.

25 Q Isn't it true that there's no way to

1 measure just the methane in SCFM within a
2 given line of landfill gas? You can
3 measure concentration, but you can't
4 measure flow of methane in landfill gas,
5 right?

6 A Yes basically you can estimate the methane
7 flow by knowing the total flow and
8 concentration of methane.

9 Q So you don't know whether this is some
10 working of the of the data to come down to
11 a methane fraction by applying some
12 percentage or whether this is just listing
13 the total flow?

14 A No, sir, and in this my mind was
15 relatively immaterial whether it was one
16 or the other. What I was just looking at
17 is the relative increase over that period
18 of time.

19 Q And what is the period of time that shows
20 the increase as depicted on figure 4.1?

21 A Basically I'm looking from roughly 11 30
22 2007 through to 7 30 or 9302009 where it
23 appeared to me that the average trend line
24 was a flow of approximately 20 SCFM and
25 then there's a significant, you know,

♀

1 uptick.

2 Q well, that's not what you said in your
3 report. What you said in your report,
4 it's on the preceding page, is that that
5 the upticks started in November 2009, not
6 in 2007, right?

7 A And that's what I was trying to say, sir,
8 is starting in roughly November, 2007, it
9 appeared to me that if you average all
10 those data points within the noise, it
11 appeared in a relatively straight line at
12 approximately 1200, 1250 SCFM and from
13 there if you were to average the points
14 from 9 30 2009 that you would see an
15 average diagonal increase of gas flow.

16 Q So what you're doing is looking at the
17 graph and drawing a mental trend line?

18 A And that's the same sort of thing as the
19 issue you were sort of disagreeing me on
20 the exact date. I kind of analyze data on
21 long-term trend line more so than specific
22 points.

23 Q And so what you're interested in is that
24 for the period of time from September of
25 2009 to February of 2010, there was a flow

♀

1 increase?
2 A That was my conclusion.
3 Q That two-month period?
4 A Yes.
5 Q How about after that? why isn't that on
6 there?
7 A In terms of -- I believe this was a graph
8 extracted from some data set that was
9 available within this reference.
10 Q Are you saying the data set didn't go past
11 February of 2010?
12 A I believe this was a graph basically
13 extracted from that document and that's
14 all that was available.
15 Q Was Dr. Abedini involved in this effort?
16 A I do not believe so. This is indicated
17 that the graph was drawn by Nicholas one
18 of my draft people and probably just
19 extracted a figure, so.
20 Q And so if a graph in here shows those
21 initials as the drafter it's a drafter and
22 not Dr. Abedini?
23 A Yes, sir.
24 Q And if you checked it and Dr. Abedini
25 initials appears nowhere that's not his

♀

1 graph?

2 A I would conclude that happened.

3 Q And can you just tell me from this graph
4 or otherwise what happened to the flare
5 flow between February of 2010 when the
6 graph stops and December of 2010 when the
7 detections occurred that led to the
8 contact to DNR?

9 A I have not plotted that information.

10 Q And could the change from 1200 SCFM to
11 1700 SCFM just reflect the addition of
12 flare capacity?

13 A Basically in my understanding that it's
14 certainly poor practice to vent landfill
15 gas into the out atmosphere without going
16 through a flare and so if there was an
17 increase in flare capacity, I concluded
18 there was also equivalent increase in
19 landfill gas extraction. So yes, that
20 adding flares would have increased flare
21 capacity, but in had general would also
22 result in this more gas being pulled out
23 of the system and that's what I was
24 concerned about.

25 Q Okay. You're saying that if you get more

♀

1 gas out of the landfill and destruct it
2 that's a bad thing?

3 A No, sir. What I'm saying is that if it
4 you're operating a gas system and then
5 assuming that the well is reasonably
6 balanced and you're extracting, you know,
7 all of the gas that's sort of reasonably
8 available without causing overdraw and
9 then you increase the gas extraction by
10 40 percent that there's a strong
11 likelihood that you are going to induce
12 overdraw.

13 Q So how do you know that the well was
14 reaonably balanced and they were getting
15 out all the gas they could between 07 and
16 09?

17 A My assumption that the data set indicates
18 that there was surplus capacity for beyond
19 that up to about 2500 SCFM as far as the
20 earlier data indicates and that I would
21 imagine that the reason that the gas
22 production was throttled back was because
23 there was less gas basically available to
24 service those flares.

25 Q So you're saying that there was no

♀

1 decrease in this flare capacity at any
2 time between May 3rd 2005 the high point
3 and November 30, 2009, correct?

4 A Yes, and basically from the trend lines
5 that I see which are sort of typical of
6 decaying landfill production overtime so
7 that curve is sort of consistent with what
8 I typically see in landfill gas production
9 at facilities.

10 Q I lost you halfway through.

11 A Yes, so basically in landfills there's
12 typically an exponential the amount of gas
13 production goes up and then when you close
14 the landfill which is kind of consistent
15 to December, 2004, it's very similar to
16 the date here, only a month later,
17 basically at that point in time the gas is
18 shut off the waste flow and gas production
19 gradually starts to drop down. It's
20 typically an exponential decay. I'm
21 seeing an exponential trend line here.

22 Q And you're talking about 05 when the
23 landfill was closed and 09?

24 A Correct.

25 Q My question was: Do you know there was

♀

1 not a decrease in flare capacity during
2 that period?

3 A And I do not know that, sir.

4 Q And do you know what company was involved
5 in maintaining the well field and
6 determining the amount of flow to capture,
7 if you will, between 05 and 08?

8 A The only company that I'm sort of aware
9 that was doing that was mike lamb's
10 company, the monitoring.

11 Q Control and compliance?

12 A Yes, whether they were doing it prior to
13 that I don't know.

14 Q Has anybody told you anything about a
15 Bridgeton Landfill in the 2005 to 2008
16 that put the control of the in somebody's
17 hands?

18 A No, sir, I'm not aware of that.

19 Q If that happened, you're not aware of it?

20 A No.

21 Q I don't want to make any statements for
22 assumptions. I'm just wondering if you
23 know anything about that subject?

24 A No.

25 Q Have you ever heard of the name forta star

♀

1 in connection with Bridgeton Landfill?
2 A No.
3 Q Page 33 of your report, top of the page,
4 in table 4-2?
5 A Yes, sir.
6 Q The 0 2 percent exceedance, if I
7 understand correctly what you're intending
8 to say is that the number of landfill gas
9 well total readings for the year summing
10 up all 12 events and summing up all of the
11 wells, that the portion in which oxygen at
12 the well was measured to exceed 5 percent
13 was the percentage of the total number
14 expressed in the 0 2 percentage exceedance
15 column?
16 A Correct.
17 Q And who extracted and did that calculation
18 to come up with that?
19 A That was one of my junior engineers by the
20 name of -- and I apologize. My brain. I
21 think I did this before I sometimes draw
22 blanks even though I well people very,
23 very well that's the way my brain works.
24 His first name is Ken and -- it will come
25 to me in a second. When I'm under stress

♀

1 I have a hard time recollecting names.

2 Q I would call to your attention the fact
3 that there are two years 2005 in that
4 table. why? They have different data.

5 A I suspected maybe that there are two
6 separate sort of chronological data sets
7 in that year.

8 Q So what are the data sets behind this
9 table?

10 A They were basically submissions, I
11 believe, to St. Louis County of monitoring
12 data that were compiled and I reviewed
13 basically their data tables of the annual
14 compliance monitoring that was submitted.

15 Q Is there some place here you cite those
16 documents that you got this information
17 from?

18 A Basically it was, again, information that
19 was my data package. I'm sure it had
20 Bates numbers, but I did not realize it
21 was that important and for that I
22 sincerely apologize I didn't know that was
23 what I needed to do.

24 Q well, I don't mean to do that. I do need
25 to have a full understanding of the basis

1 for statements that are in your report and
2 I do need this.

3 Do you know for certain that this
4 came from something that originated at
5 St. Louis County as opposed to the
6 landfill?

7 A Basically, this information was provided
8 to me by the Attorney General's original
9 data set package and it was part of sort
10 of the annual monitoring report submission
11 that I believe is submitted to the County,
12 but I'm not 100 percent sure of that.

13 Q If you had the SCS database information
14 why not just use it?

15 A I believe that the information here
16 predates the SCS database that we have on
17 file.

18 Q You see that for 2006 the comment is no
19 data for first half?

20 A Yes, and that probably explains why
21 there's, you know, seems like a
22 semi-annual report.

23 Q So why, what would the data have looked
24 like if you had included the data for the
25 first half?

♀

- 1 A I don't understand your question.
- 2 Q Sure. If it were a full year's data,
3 would the percentage of O₂ exceedances
4 with be higher or lower?
- 5 A I would anticipate that they would
6 probably be in that same for oxygen for
7 example in the same range but without
8 having the data available, I can't confirm
9 that.
- 10 Q why would you anticipate anything without
11 having the data available?
- 12 A Looking at, again, trends in data I sort
13 of automatically do that.
- 14 Q But wouldn't you be a lot more comfortable
15 making predictions about what it showed if
16 you actually read it?
- 17 A Absolutely.
- 18 Q So why are there two years 2007 in had
19 this statement?
- 20 A Basically, my impression of this is that
21 it's a semi-annual report that is
22 presented and basically in the year or in
23 the time there are two data sets, then
24 there's 2005 and 2007 there are two data
25 sets and in 2008 there's basically only

1 one.

2 Q Have you done any sort of modelling
3 calculations to compare in order to
4 determine the significance of this old
5 information, from 2005 to 2008 any
6 information to compare the volume of
7 methane -- excuse me the volume of
8 landfill gas generated in the landfill
9 between 2008 and 2010 and the maximum
10 volume of oxygen this could possibly
11 represent in 2005 to 2008?

12 A No, sir, I have not.

13 Q Bridgeton Landfill in 2009, 2010 was
14 producing a lot of landfill gas?

15 A Yes.

16 Q And the effect of that production of
17 landfill gas by the nature of gas
18 expansion is that it would tend to push
19 out everything in its way in all
20 directions as much as it could?

21 A This is you're talking pre-dating the
22 SSSER.

23 Q I'm pre-dating December 22nd, 2010.

24 A Yes, right.

25 Q The fundamental nature of the way

1 landfills produce gas is that as the gas
2 is produced in this very large quantities?
3 A M'hmm.
4 Q -- it tries to expand its reach in all
5 directions pushing out gases in this its
6 path as much as it can to fill up the
7 landfill with itself. Is that true?
8 A Yes, basically gas is produced and it will
9 build pressure and eventually escape from
10 the landfill into the atmospheric
11 laterally because there's just continually
12 more being produced, yes.
13 Q Just to conceptualize it's like filling a
14 balloon with air, it just gets bigger and
15 bigger and bigger, right?
16 A Yeah, generally there's a gas flow is
17 driven by pressure so if there's more gas
18 being road typically what happens there's
19 a pressure buildup that allows more gas to
20 escape unless you put a gas extraction
21 system in to de-pressurize.
22 Q Right. That's what you would call
23 positive pressure?
24 A If it's leaking out under its own
25 pressure, yes, positive pressure.

1 Q And the reason that we have to have we're
2 required to have by law -- well, strike
3 that I'm not so sure. The reason that a
4 landfill has an active landfill gas system
5 is so that that gas doesn't escape the
6 landfill and go into the atmosphere,
7 right?

8 A Correct.

9 Q And the reason we don't want the gas to
10 escape the landfill and go into the
11 atmosphere is that that can carry odor and
12 green house gases?

13 A Those are the two predominant reasons,
14 yes.

15 Q And so one of the things the landfill is
16 supposed to do is to capture as much of
17 that gas as they reasonably can before it
18 gets out into the atmosphere?

19 A Correct.

20 Q And for the gas that's in the subsurface
21 of the landfill to capture as much of the
22 gas as they reasonably can before you have
23 methane in the subsurface which is also
24 something not wanted?

25 A Yes.

1 Q And so pulling the amount of gas that
2 collects the most methane with the least
3 oxygen intrusion is the sweet spot of
4 landfill extraction well flow control?

5 A Correct.

6 Q And by sweet spot, we mean we as a
7 landfill operator here, a regulator across
8 the table and an interested member of the
9 public at your end should all want that?

10 A I would say I would agree with that
11 statement, yes.

12 Q How long did it take for any amount of
13 oxygen which may have been overpulled into
14 the landfill by 2008 to be pushed out by
15 the continued generation of this mass of
16 new landfill gas being formed?

17 A Basically, from the information that I've
18 reviewed, that most of the oxygen would
19 get actually consumed within the landfill
20 by bacteria, so initially at a point and
21 my impression was that there was an active
22 gas collection system operating that would
23 prevent that oxygen from being pushed out.
24 It was rather being drawn in.

25 Q In other words, it would be pulled to the

♀

1 flare?

2 A It would be pulled into the wells and
3 toward the flare. And typically, the
4 oxygen would be -- a lot of it would be
5 consumed by aerobic microbes on its
6 pathway through the waste before it got
7 to the wells.

8 Q Okay so let's assume that there was
9 overpull between 2005 and 2008 and that
10 you had just proven it.

11 A M'hmm.

12 Q In 2009 and 2010, any effects of that
13 oxygen that came in because of overpull
14 years earlier is gone because of the
15 microbial activity and the pumping to the
16 flare and you would have to have new
17 oxygen in 2009 and 2010 to make any
18 difference?

19 A Yeah, generally my understanding is that
20 the oxygen that is within the waste mass
21 would get consumed relatively quickly and
22 if it's sort of continuous overdraw that
23 causes the problems on a much more
24 short-term basis.

25 Q If there is an effect of overdraw first of

1 all there can be overdraw with absolutely
2 no effect, right in fact that's probably
3 most of the time?

4 A Correct I would say so, yes.

5 Q If there's going to be an effect from
6 overdraw that is in some way negative, you
7 find out about it pretty quickly?

8 A If you're monitoring your wells routinely
9 yeah, you would detect it in your
10 monitoring program.

11 Q Okay. And so all of this history from
12 2005 to 2008 and whomever was in charge of
13 the well field from 2005 to 2008 may be
14 academically interesting, but it's
15 unrelated to the events from November,
16 2009 to December, 2010 that you and I have
17 been debating for the last couple of days?

18 A I would not go that far in that one of the
19 things or the reason that I always preach
20 that any oxygen intrusion into landfill is
21 bad is basically that it converts the
22 subsurface microbial population from
23 anaerobic or methanogenic bacteria which
24 generally likes to thrive at temperatures
25 below 131 degrees Fahrenheit to aerobic

1 microbes which generally produce
2 significantly more heat to the point of,
3 again, I'll have to quote Celsius because
4 it's like 75 to 80 degrees Celsius,
5 somewhere up around 176 Fahrenheit, but I
6 have a table that explains that. /(And
7 generally my experience has been is that
8 when heat is allowed to build up in a
9 landfill it's dissipated very, very slowly
10 like we're talking months to years and any
11 time you basically allow heat to increase
12 within a landfill, you run the risk of
13 increased risk of some form of chemical
14 reaction to trigger spontaneous combustion
15 and so what was done in the past, even
16 though it may not have an influence on the
17 oxygen regime, it may well have had an
18 influence on thermal regimes that would
19 have been much longer lasting /(.

20 Q Two assumptions. One is for it to have an
21 effect on the thermal regime that could
22 inhibit methanogenesis which was one of
23 your things, it would have to be above the
24 level at which methane generation stops?

25 A Yes, sir.

♀

1 Q The second thing is in order to have any
2 effect in a particular area of the
3 landfill, it would have to be unaffected
4 by the flow is being created by the gas
5 wells and the header pipes because
6 otherwise the heat dissipates by function
7 of flow; isn't that right?

8 A The dissipation of heat through flow is
9 certainly something that I believe does
10 occur in terms of the magnitude of heat
11 that's extracted through that system. I
12 do not know whether it's hugely
13 significant or not.

14 Q Okay. So do you know of any particular
15 area you have identified at Bridgeton
16 Landfill that was unprotected by the flow
17 operation of the landfill gas well
18 collection system, the wells and the pipes
19 and that therefore didn't have the
20 resulting heat dissipation that results
21 from flow -- I'm sorry, let's go off
22 record.

23 Going off record. The time is 5:06. Test test
24 test.

25 (PROCEEDINGS RECESSED AT A.M..)

1 (PROCEEDINGS RESUMED AT A.M.) test test
2 THE VIDEOGRAPHER: We're back on the record. The
3 time is 5:14.
4 MR. BECK: Dr. Sperling, we've got child care
5 needs that a person who runs this
6 conference center that I'm going to
7 respect and stop the deposition. I need
8 to cover one quick question for you now
9 and that is one of your recommendations
10 was that there will be an examination of
11 drill cuttings on a forward going basis
12 for the presence of char?
13 A Yes, sir.
14 Q You haven't been able to make any
15 determination from any sample or
16 photograph that you've seen and the result
17 that any char is present at Bridgeton
18 Landfill?
19 A No, sir.
20 Q And that's why you suggest doing that
21 testing?
22 A Yes, just based on the understanding that
23 typically pyrolysis is a key process in
24 this I think your professionals concur
25 that as well is typically a process that

♀

1 generates tars and chars and I'm concerned
2 about the presence of unreacted carbon in
3 the landfill and I think/see that's worthy
4 of investigation.

5 Q I know you are and I know from your report
6 why you say that you are.

7 A Yes.

8 Q And, you know, it's really hard visually
9 to look at a drill cutting and know the
10 difference between old very wet waste
11 stuff and tars and chars if you don't
12 actually test it, right?

13 A Yes. I believe there's basically like
14 continuous core samples, like sonic drill
15 rigs that will a continuous core and then
16 there's basically opportunities to do
17 carbon analysis to determine the carbon
18 content of that material which will
19 provide you a very good, you know,
20 indication of whether the material left is
21 inert non-carbonaceous material which
22 would be the case of ash or whether
23 there's still a lot of carbon left.

24 MR. BECK: I guess I am reluctantly willing to
25 close the deposition, even though I've got

Rough draft

1 a lot of stuff I would like to cover
2 because I've had two full days and I
3 recognize that as being the longest length
4 of time we've allowed anyone for anything
5 in this case, so --

6 MS. WHIPPLE: would you hold for a minute and let
7 me talk to Andrew right outside?

8

9 MR. BECK: Yes.

10 THE VIDEOGRAPHER: Going off record. The time is
11 5:16.

12 (Discussion off the record)/

13 (Brief break)

14 THE VIDEOGRAPHER: Back on the record. The time
15 is 5:17. Okay, this concludes today's
16 deposition. It's the end of media unit
17 number 4, Volume 2. Going off the record
18 at 5:17.

19

20

21

22

23

24

25